

ATTORNEYS EYES ONLY

Page 1

U.S. ARMY FORT MONMOUTH
RESTORATION ADVISORY BOARD (RAB)

Attorney's
Eyes Only

IN RE: FORT MONMOUTH)
RESTORATION ADVISORY BOARD)
MEETING,) TRANSCRIPT OF:
)
) PROCEEDINGS
)

ORIGINAL

Fort Monmouth
455 Wade Avenue
Oceanport, New Jersey
7:00 p.m.

Wednesday, December 4, 2013

B O A R D M E M B E R S:

Brian Charnick
William Simmons
Richard Gruskos
Frank Barricelli
Timothy Rider
Wanda Green
James Allen
Linda Range
Joel Grimm
Edward Dlugosz
Rosemary Brewer
Dianne Crilly

Also Present: Lenny Siegel
Jim Moore

Job No. NJ1775120

Veritext/NJ Reporting Company

800-227-8440

973-410-4040

200.1e
FTMM_07.07_0532_a

1 TRANSCRIPT of the stenographic notes of
2 the proceedings in the above-entitled matter, as
3 taken by and before Colleen A. Brown, a Registered
4 Professional Reporter, Certified Court Reporter and
5 Notary Public of the State of New Jersey, held at
6 Fort Monmouth, 455 Wade Avenue, Oceanport, New
7 Jersey, on Wednesday, December 4, 2013, commencing at
8 7:00 p.m.

1 MR. ALLEN: At this time, I'd like to
2 call to order the meeting of the Restoration Advisory
3 Board, United States Army, Fort Monmouth. Would you
4 like to join me in the Pledge of Allegiance to the
5 Flag.

6 (Pledge of Allegiance.)

7 MR. ALLEN: At this time, we have two
8 separate sets of minutes. If you don't have a copy,
9 we can provide one to anyone on the Board who needs a
10 copy.

11 At first, I'd like to discuss the April
12 4, 2013 where I don't believe we had a quorum and
13 that's the reason this is a carryover. Is there a
14 motion to approve the April 4, 2013 minutes?

15 MR. BARRICELLI: I make a motion.

16 MR. ALLEN: Is there a second?

17 MS. BREWER: I'll second.

18 MR. ALLEN: Thank you. Do you need some
19 time to review them, or can I call for a vote for
20 approval?

21 MR. CHARNICK: I had a question. I'm
22 not sure if it's related to this set of minutes or
23 the next minutes, but Monmouth County Health
24 Department --

25 MS. GREEN: We're recording. I forgot.

1 You need to speak into the mic, please.

2 MR. CHARNICK: I just had a question
3 regarding the Monmouth County Health Department.
4 Bill Simmons produced and delivered a detailed report
5 commenting on the FOST, F-O-S-T, and sewer treatment
6 plant. I was just wondering if that report is
7 incorporated in either of these minutes. I didn't
8 notice it anywhere. It just said he made comments,
9 but he delivered about an eight- or ten-page detailed
10 report on behalf of Monmouth County. So I just
11 look --

12 MR. ALLEN: It's mentioned on page three
13 of five, last section.

14 MR. BARRICELLI: Page four.

15 MS. GREEN: July?

16 MR. ALLEN: Then we'd like to stay on,
17 if we possibly could, the April meeting.

18 Any questions with regard to the April
19 meeting right this minute? Hearing none, is there a
20 motion to approve the April 4, 2013 minutes?

21 MR. BARRICELLI: I do.

22 MR. ALLEN: Frank. And a second?

23 (No audible response.)

24 MR. ALLEN: Thank you. All those in
25 favor say "I."

1 (IN UNISON): I.

2 MR. DLUGOSZ: Abstain. I wasn't there
3 at that meeting.

4 MR. ALLEN: Thank you for putting that
5 in, but you've got to speak up. You get that, ma'am,
6 he abstained? Thank you.

7 All right. Next set of minutes would be
8 the July 11. And, Frank, or Brian, I think you want
9 to -- Frank, you want to mention what you saw on what
10 page it was?

11 MR. BARRICELLI: At the bottom of the
12 fourth page, the last bullet point talks about what
13 you were questioning.

14 MR. CHARNICK: No, it doesn't.

15 MR. BARRICELLI: Well, it says it's part
16 of the record, the question is: What's the record, I
17 think, right?

18 MR. CHARNICK: Well, where is the
19 report? I don't see it attached here. You just said
20 it was -- my question is: Is the report part of this
21 record? He delivered the report during the meeting,
22 I guess. There's references here. I was just
23 wondering, how does that report appear in our record?

24 MS. GREEN: It will be attached to the
25 minutes. When I -- when I send the minutes to be

1 uploaded onto the website, it will have all of the
2 presentations for that particular meeting.

3 MR. CHARNICK: Okay.

4 MR. DLUGOSZ: I would suggest, if I
5 may -- I would suggest, if I may, reference to the --
6 to those doc -- that report, so that there is a link
7 from the minutes to the document and vice versa, you
8 know. Right now, we -- it talks about it, but I
9 think we should say what -- the report was attached,
10 or something to that effect.

11 MR. CHARNICK: Yeah, something.

12 MR. ALLEN: For the purpose of the
13 minutes, would you like to dictate one so we can
14 attach it to the minutes?

15 MS. GREEN: I want to understand exactly
16 what you're saying. You're saying in the minutes
17 itself it should say that a report was given?

18 MR. CHARNICK: It does say that
19 Mr. Allen offered a motion to have the report be part
20 of the record.

21 MR. DLUGOSZ: And what we --

22 MR. CHARNICK: I was just wondering if
23 it was going to be attached.

24 MS. GREEN: I don't make copies of all
25 the presentations when I give you guys the minutes.

1 I just send out the minutes, because you get copies
2 of all the documents when you come to the meeting.
3 That's why it's not attached right now.

4 MR. CHARNICK: Would the public be able
5 to read that report?

6 MS. GREEN: Yes.

7 MR. CHARNICK: Like the public can read
8 these minutes.

9 MS. GREEN: Right.

10 MR. DLUGOSZ: I think we can memorialize
11 that by saying that the report is attached, just
12 those few words. Right at the end of that sentence
13 saying that we discussed it, or it was presented, say
14 the report is attached in the records.

15 MR. ALLEN: Is that clear with
16 everybody? Any other discussion? And Wanda has
17 indicated she'll make a point to attach that, so --

18 MR. RIDER: I'm sorry. I believe that
19 "included" would be the right choice of words, not
20 "attached."

21 MR. ALLEN: Any other discussion with
22 regard to the July 11, 2013 minutes? If not, I'll
23 entertain a motion that we approve those minutes.

24 MR. CHARNICK: So moved.

25 MR. ALLEN: Is there a second?

1 MR. BARRICELLI: Second.

2 Frank Barricelli approved.

3 MR. ALLEN: All those in favor of
4 approving the minutes of July 11, please abide by
5 saying "I."

6 VOICES: I.

7 MR. ALLEN: Abstained?

8 MS. BREWER: Abstaining.

9 MR. GRUSKOS: I'm abstaining.

10 MR. DLUGOSZ: I abstained also for the
11 July meeting. Apparently, my earlier abstention was
12 misguided and it was the July meeting that I missed.

13 MR. ALLEN: I saw your name. But that's
14 okay.

15 Do you have that now?

16 MS. GREEN: Let me just say what's going
17 on here. We have a stenographer and we have a
18 recorder here. So, to help the ladies with what they
19 are inputting, we might need to start saying our
20 names to just help them out until they get to know
21 us.

22 MR. ALLEN: So if you speak, would you
23 mention your name first and then speak until she gets
24 familiar with it.

25 MR. DLUGOSZ: I'm Ed Dlugosz and I

1 abstain for the July meeting, not the April meeting.
2 So I was at that meeting and my vote was yeah. I
3 agreed.

4 MR. ALLEN: Rosemary, you abstained on
5 this?

6 MS. BREWER: Correct.

7 MR. ALLEN: You have that, Rosemary?

8 And, Brian, you -- she has your name.

9 MR. GRUSKOS: Rich Gruskos abstained on
10 the July because I wasn't present.

11 MR. ALLEN: And I believe we accepted
12 these as circulated and modified. Is that correct?

13 Thank you. Get on to our agenda
14 business. I turn this meeting on section three over
15 to Wanda.

16 MS. GREEN: I just want to give you an
17 update of the RAP program. As you all are aware, we
18 have a contract through the Corps of Engineers with
19 Parsons Environmental who is currently working on all
20 of our IRFS reports. We currently have a draft RI/FS
21 for M3 -- these are landfills. M3, M4, M5 and M8,
22 which are currently being reviewed by the Corps of
23 Engineers and the Army and Caliper, and then also our
24 legal office. M66 is also being reviewed by our
25 legal office currently. And we are expecting to

1 have -- to start having some of these reports
2 finalized by the beginning of next year. And, once
3 we get the first one of the landfills finalized, you
4 will hopefully start getting reports every three
5 weeks. So it's going to be pretty busy with doing
6 reviews, but, as I've said before, they aren't really
7 creating new sites. This isn't -- the information
8 that's going to be in these reports aren't going to
9 be really new to you. It's just the format will be a
10 little different. Instead of having RAPRs, because
11 we're doing the circular, you will be seeing the
12 remedial investigation feasibility studies for each
13 of these sites. The decision for most of our
14 landfills will pretty much be the same. And what I
15 plan to do is have someone from Parsons or either the
16 Corp of Engineers here to give a presentation for
17 each report that is given. And you'll see that we
18 have that for today, too, for the work plans.
19 Parsons is currently preparing the RI/FS for the
20 remaining landfills M12, M14, M18 and M25. There was
21 some discussion with our legal office in regards to
22 the remedial action that we are planning to perform
23 or not perform in regards to the circular
24 requirements. As you know, circular risk assessment
25 is different from state risk assessment, and there

1 was some discussion as to if we have to follow state
2 risk assessment or circular risk assessment. And
3 that's why it was going back and forth quite a bit.
4 Our legal office have to look out for the Army's
5 legal requirements for under BRAC law, and that's
6 what they're doing and we -- it hasn't been
7 finalized. It will all make more sense when the
8 report is actually finalized.

9 They have finalized the RI/FS work plans
10 for the nine landfills. You receive -- you should
11 have received by Federal Express a CD of this work
12 plan for the nine landfills, and also for M22, M53,
13 M59 and M68. If you didn't receive it, those disks
14 are on the back table. They completed the round of
15 sampling, as you may recall, between August and
16 September. There was some misunderstanding of what
17 type of report that I wanted to receive from them as
18 far as the baseline report. They were working on an
19 extended baseline report. Due to the fact that we
20 have already seen all of the documentation from the
21 historical results of our sampling, I don't think we
22 need to see a formal baseline report. I think what
23 we just need to see what are the results now? What
24 are the results of August to September sampling, and
25 we can also look at what was the historical results

1 for each site. So I'm hoping to get that out to you
2 before our next meeting if we plan to have the
3 January meeting. That's something we will discuss
4 later, but I hope to get that to you definitely
5 before the beginning of January.

6 As I said, I distributed the disk of the
7 landfill and the four sites there, but you also
8 received a disk of the M16 RAPR that was completed
9 in-house. We had started on that and decided to go
10 ahead and complete that in-house ourselves, and you
11 have a copy of that. That report will be presented
12 to you at our next meeting in January by Rob Newhouse
13 who wrote it.

14 Now, because I said whenever I give you
15 a report I would like to have a presentation, at this
16 time, I'm going to have Jim Moore from the Corps of
17 Engineers, who I worked with very closely on all of
18 the work that Parsons is doing, to give a
19 presentation. It says Parsons, but actually Jim
20 Moore is here, he's Corps of Engineers first in all
21 of our sites. He will be presenting the summary of
22 the work plan for the landfills and sites M22, 53, 59
23 and 68. And we might want to scoot to the side so
24 everyone can see.

25 MR. MOORE: Good evening. And, just for

1 clarification purposes, I want to give the
2 stenographer a couple of terms that she may not be
3 aware of. The word RAPR is remedial action progress
4 report. Anything else?

5 MS. GREEN: RI/FS.

6 MR. MOORE: I gave her that. I gave her
7 a list of all those, but that wasn't on the list and
8 that's why I wanted to make sure that she got all
9 that.

10 Thank you very much, Wanda.

11 MS. GREEN: Do I need to turn off a
12 light or two? If not, there's a presentation in the
13 back.

14 MR. MOORE: As Wanda said, my name is
15 Jim Moore. I'm with the Corps of Engineers New York
16 District, and I'm the project manager to help support
17 Wanda at Fort Monmouth. I also work with Parsons to
18 make sure that they provide all the services that
19 Fort Monmouth needs, make sure that we can complete
20 our studies in a quick and efficient manner. I had
21 asked Parsons to prepare this presentation. It was
22 just simpler for me to give it on their behalf so any
23 questions that came up, we can address them very
24 quickly.

25 We have currently submitted two work

1 plans to the state. Because we are going out and
2 addressing 18 different sites, we broke the work
3 plans down into, basically, three component parts,
4 two of which are going to be presented this evening.
5 One would be the RI/FS investigations, as Wanda
6 mentioned for M2 and 22, 53, 59 and 68. And then the
7 other work plan is for the nine landfills. That
8 makes up 13 of the 18 sites. We have one more work
9 plan left to submit for the remaining site. Those
10 work plans are going to discuss and summarize all the
11 historical work that's been prepared by both Fort
12 Monmouth and Parsons, put them into one document, and
13 put information that will discuss the nature and
14 extent of contamination associated with each site.

15 It will also identify any data gaps
16 associated with that analysis, and the work plans
17 will now discuss further what recommendations about
18 how to address those data gaps. And we're doing
19 those documents in a circle formulate that's required
20 by BRAC headquarters.

21 For the first set of work plans, for
22 M22, 53, 59 and 68, we'll show the location of the
23 sites, what are the historical uses, what are the
24 potential compounds of concern and break them down by
25 media, soil, ground water, surface water as such, and

1 also include a draft proposed plan on how we're going
2 to go out and investigate and complete the
3 delineation that's required.

4 Our next slide is just going to be a map
5 that shows the first three locations that are on the
6 main site, and that will be M59, M68 and M53. I
7 think everyone knows where they are, so I'm not going
8 to point them out on the map. And everyone's got a
9 copy of the presentation, so if you have any
10 questions just ask.

11 The next map is just showing the Charles
12 Wood area, and the other location, which is the M22
13 location.

14 Now, as far as the historical uses for
15 M53, which is associated with building 699, that's
16 the former gas station and there's fuel storage tanks
17 that are there, underground piping, gasoline
18 dispensing islands. We'll be doing some
19 investigation associated with that activity.

20 Also at M59, that's the former auto
21 repair shop. And a variety of substances that they
22 used there for that particular activity.

23 And M68 is the former dry cleaners.
24 That has dry cleaning solvents.

25 And, lastly, M22 is the lime pit where

1 they had some liquid waste that went into that
2 location.

3 Now, the potential compound of concern
4 associated with each one of those sites, M53, we're
5 looking at -- and that's associated with building
6 699, we have volatile organic compounds that are
7 present there as well as lead. And they can be found
8 in both surface and subsurface soil, as well as
9 ground water. And that will be the focus of our
10 investigations and the report that's going to be
11 prepared. And, just so everyone at the RAB is aware,
12 we're going to have a standalone site specific report
13 for each individual site so that if you're interested
14 in one site versus the other, you don't have to wait
15 for a giant report. You just go to one location and
16 get that information.

17 For M59, we also have volatile organics,
18 semi-volatile organics and metals, and, again, they
19 can be found in the surface and subsurface and ground
20 water.

21 For M68, same thing, volatile organics,
22 subsurface and subsurface soils, as well as ground
23 water.

24 And, lastly, M22 we have volatile
25 organics metals, and subsurface soils and ground

1 water.

2 And, again, this is really just a
3 highlight summary.

4 Now, our proposed sampling activities
5 that we're going to do, for M53 we're planning to do
6 27 soil samples and from nine borings, multiple
7 samples collected from each boring, as well as
8 collect samples from two wells. And, as Wanda
9 mentioned, we just finished a baseline level of
10 sampling in August. We're going to get those results
11 to you as soon as possible. The reason that report
12 is not here is my mistake. I was faulty in I thought
13 that they wanted something a little bit more
14 detailed, and obviously not.

15 For M59, we're going to be doing some
16 subsurface and surface soil sampling in two locations
17 to complete the delineation, and also collect samples
18 from two existing wells.

19 For M68, it's going to be a combination
20 of surface and subsurface soil sampling, and up to 15
21 samples collected from five soil bores. And, again,
22 ground water samples from two wells.

23 And, lastly, rounding up to M22, we're
24 going to be doing subsurface soil sampling and ground
25 rotations from two borings, and also collect samples

1 from existing wells and four new monitoring wells.

2 MR. DLUGOSZ: How are you going to
3 determine which wells? You said samples from two new
4 wells, and then you have two existing wells. There's
5 multiple wells on each site. How did you choose
6 which wells to test?

7 MR. MOORE: That's a great question.
8 Part of our baseline sampling that we did in August
9 and September was to look at the water quality, what
10 it was like in August compared to what it was
11 historically. And then we'll use that information
12 associated with each individual site and that
13 information will be used to determine which specific
14 wells are going to be targeted. When we did our
15 initial planning stages early on, we tried to look at
16 many things as holistically as possible from a big
17 picture and then zoom in. But, basically, it's going
18 to be review of historical and current data as a
19 means by which to pick which are the most optimal
20 locations. The state will have an opportunity to
21 review these documents and make comments, and those
22 comments are also -- and all those documents are also
23 being reviewed just for your information, and for the
24 RAB, and they're all being reviewed by the Corps of
25 Engineers, our technical staff, by our contractor who

1 will prepare those documents, as well as Caliber, who
2 is another consultant to BRAC to control quality
3 control, check on all the things that we do.

4 Did that answer your question?

5 MR. DLUGOSZ: Yes.

6 MR. CHARNICK: Is that also related to
7 the -- your need to have four additional new
8 monitoring wells at building --

9 MR. MOORE: If the delineation wasn't
10 complete, yes, we would be adding new wells so that
11 the objective would be to complete that delineation
12 so that when that report is prepared and given to the
13 state to review, we'll have a complete understanding
14 of all the nature and extent of any contamination
15 associated with each site. And then, from that,
16 we'll have a means by which to follow the circular
17 process, propose an action, and then memorialize that
18 action in a record.

19 MR. CHARNICK: Does that indicate any
20 weakness of the previous studies and tests that you
21 require new wells?

22 MR. MOORE: Everything we're doing is
23 augmenting the work that's already been prepared.

24 Next slide, please. Thank you. You're
25 good.

1 Our landfill feasibility study work
2 plan, that document will discuss the location of the
3 nine landfills, and there are some figures and nice
4 maps around the room that will show you the location
5 of those nine landfills. They'll also -- we'll also
6 discuss the historical uses for those landfills.
7 Again, the primary compounds of concern as well as
8 the media that's been impacted and what our proposed
9 sampling action will be.

10 The next slide and the slide after will
11 show the location of those landfills. And, actually,
12 I find the maps around the room to be better than
13 looking at that, because my eyes can barely see that.

14 And why don't we skip right over to
15 historical uses for landfill M2. That was upgraded
16 from 1964 to 1968. The material that was deposited
17 there was basically general construction debris as
18 well as domestic and industrial waste.

19 For M3, that operated between 1959 and
20 1964. Again, general disposal of domestic and
21 industrial waste. A lot of wood, coal ash from
22 furnaces and boilers.

23 For M4, that's just general demolition
24 debris, and that was between 1955 and 1956.

25 For M5, it operated between 1952 and

1 1959 and primarily that was automobile disposal
2 material.

3 MR. DLUGOSZ: Could you give us an
4 example of what those materials might be?

5 MR. MOORE: You know, I --

6 MR. DLUGOSZ: Do you have -- eager
7 beaver --

8 MR. MOORE: It could be one of Radar's
9 Jeeps that he buried our ship back from Korea. I'm
10 not really sure. I wish I could tell you that, sir.
11 But I could not comment on it.

12 MS. GREEN: Overall, all of the
13 landfills, when you look at the previous reports, we
14 say in general what's in the landfills. So even
15 though they have separated here, when you look at the
16 description of our landfills, it says everything that
17 would be for each one of them. So even though that
18 says automobile disposal, we know that there could be
19 others, so that's what we generally say. We have a
20 boiler plate that we use.

21 MR. DLUGOSZ: I understood. But this is
22 the first time I've seen M5 characterized as a
23 automobile disposal. So I just wanted to --

24 MS. GREEN: It's really -- you should
25 just look -- don't just look at it as automobile. It

1 is really still everything that could be.

2 MR. DLUGOSZ: Okay.

3 MR. MOORE: I guess the description for.
4 M8 probably is probably one of the better ones, which
5 is just general disposal of domestic and industrial
6 waste. I think that's the simplest way to put it.

7 And, for M12, that was between 1950 and
8 1966. That was general disposal of domestic and
9 industrial waste.

10 For M14, that operated between 1965 and
11 1966. Same as before, general disposal of domestic
12 and industrial materials.

13 For M81, we are not sure when it was
14 stopped being used, but it did operate from 1918
15 through -- we're not really sure. But that was a
16 primarily military training area but, again, I would
17 characterize most of the material just general
18 domestic and industrial waste, which was standard
19 process and procedure at the time when these
20 facilities were being operated.

21 For M25, lastly, that was again just
22 general disposal of building demolition material, and
23 between 1955 to 1956.

24 MS. GREEN: And that's the only site
25 that we're sure, it is mainly just building

1 demolition that's based on interviews that were
2 performed by folks who work in the area -- who worked
3 at the site.

4 MR. MOORE: Now, our proposed sampling
5 activities right now, based on the information that
6 we have, we believe that pretty much every one of the
7 landfills, with the exception of M2, has sufficient
8 information collected to characterize the nature and
9 extent of contamination. So, going forward, the only
10 location that we are proposing to do additional
11 characterization work on would be M2. We would be
12 looking at specifically volatile organics, PCB
13 polychlorinated biphenyls. If my wife wasn't an
14 interpreter, I wouldn't know her pain. And, lastly,
15 from -- and, lastly, we'll be looking at metals.

16 The key issue that we really need to
17 focus in on for M2 is the timeline for when the
18 historical railroad was put through there and when it
19 was installed. Commonly, a lot of the bending
20 material associated with railroads is historically
21 always loaded with metals and it's well documented
22 that they used a lot of slag and cinder material in
23 their bedding material because it compacts very well
24 and it's a good base.

25 MR. DLUGOSZ: That line actually

1 existed, you know, prior to 1880 -- 1860 time frames,
2 because historical documents from each of the towns,
3 and some of the books that have been written, you
4 know, show them that old.

5 MR. MOORE: I worked on a lot of super
6 fund sites in South Jersey that were historic plants
7 that were like in the 1860s and 1870s and Sherwin
8 Williams Gibbsboro, they would commonly take their
9 fly ash associated with their burners and any spec
10 materials that wasn't being used and it was given
11 away to the public. And people loved it because it
12 had wonderful compaction to it and made a great
13 bedding for the soils.

14 But, lastly, if -- for the associated
15 with the railroad, we would want to go in and perform
16 some investigations and just figure out whether or
17 not the material that we're looking at is either
18 related to Fort Monmouth activities or related to
19 historical railroad operation installation,
20 maintenance, those types of things. So that's part
21 of the approach and what we'd like to do.

22 MR. DLUGOSZ: I have another question.

23 MS. GREEN: Can you pull the mic closer
24 to you?

25 MR. DLUGOSZ: Thank you.

1 During the past, prior to Sandy, there
2 was some work done where additional testing of the
3 landfills included testing the extent changes that
4 might have been there. What I'm trying to say is
5 that back then, back in 2010, 2011, I think there
6 were -- there was some work done where there were
7 some ditching done to see what the real extent of the
8 landfills were. We've never had any documentations
9 as far as I can determine from looking at my extent
10 of library of materials. Will that be -- those
11 additional areas be included in this -- in these
12 studies, or is it -- you know, it probably has the
13 same, you know, components as everything else, but
14 the sizing of the sites may have differed from the
15 original IRPs and so forth, and I just was wondering
16 will your reports correct any errors that were found
17 during that recent -- more recent testing.

18 MR. MOORE: I know that we've given
19 Parsons a wealth of information associated with all
20 of the landfills. And everything that we have, they
21 have both in electronic version as well as paper
22 copies. But I would have to defer to Wanda at times
23 whether or not that trenching study was incorporated.

24 MS. GREEN: What happened was we did
25 permanent trenching for the boundaries for -- and you

1 saw that some of the landfills' boundaries did
2 increase. But then we closed and you know all the
3 problems that we had with the reports before we
4 closed that we have reports that were incomplete.
5 All of that information would have been in the latest
6 RAPRs, but then we discontinued with the RAPRs and
7 went to now we're doing all the RI/FS. So that
8 information would be included in the new reports that
9 you will get. You did get a copy of what the new
10 acreage is for each of the reports. I gave that out
11 in one of the RAB meetings, but I can give that to
12 you again if you would like that.

13 MR. DLUGOSZ: That would be great. And
14 I'd like to also see that information, the acreage
15 and whatever in the new reports.

16 MS. GREEN: What was found during the
17 trenching and all, yeah.

18 MR. DLUGOSZ: I couldn't remember the
19 word "trenching."

20 MR. GRUSKOS: I was going to help you on
21 that one.

22 MR. DLUGOSZ: And the last thing is not
23 for you, sir, but for Wanda.

24 Since I missed a meeting and haven't
25 been in the area recently, the -- Sandy, and has

1 there been anything that has documented the results
2 of any further testing of those landfills resulting
3 from the damage done or lack of damage done at any of
4 these sites? By that I know that the water level
5 rose -- you know, in some cases, was -- very
6 extremely, and I was wondering if there's any -- if
7 there's any formal report resulting from those
8 look-sees. It's really examination, should use the
9 word "examination."

10 MS. GREEN: Yeah. At the last meeting
11 the Corps of Engineers actually went out and did a
12 terrain walk of each of the landfills. The Corps of
13 Engineers --

14 MR. MOORE: Actually, I was there, too.

15 MS. GREEN: And Caliper, and they gave
16 the report, the same report that they had given to
17 the other facilities that they had to inspect after
18 Sandy. And that was in the last RAB meeting, and
19 there wasn't any significant findings at all. Where
20 we did have trees that tumbled over, there weren't
21 any debris protruding out of the landfills, anything
22 like that as a result of Sandy.

23 MR. DLUGOSZ: Were there any samples of
24 soil taken?

25 MS. GREEN: No soil samples were taken.

1 Only the sampling that we performed August through
2 September of the ground water sampling. So
3 additional soil samples have not been taken.

4 MR. DLUGOSZ: Okay. Thank you. Thank
5 you.

6 MR. GRUSKOS: Just a point, because I
7 think, as I understand a limited number of the
8 landfills were actually flooded. So, Wanda, I was
9 just wondering if you could review. I seem to
10 remember reading that only a limited number of the
11 landfills were actually flooded, majority of them
12 weren't impacted.

13 MS. GREEN: Yeah. Because most of the
14 flooding occurred actually in the 400 area.

15 MR. DLUGOSZ: This side of the street.

16 MS. GREEN: Yeah, on this side. And the
17 first landfill that you would encounter was
18 actually --

19 MR. DLUGOSZ: 14.

20 MS. GREEN: No. This area wasn't
21 flooded as far as our buildings. There's no real
22 indication. There was a lot of wind damage to
23 buildings, but it wasn't any flooding inside the
24 buildings. This is the first landfill, but this
25 area, we didn't have any flooding in any of the

1 buildings here. All of the flooding occurred on the
2 other side, on this side of Oceanport. So --

3 MR. DLUGOSZ: Like you said, the area
4 right in the middle there.

5 MS. GREEN: This over here.

6 MR. DLUGOSZ: Where your forefinger was,
7 the landfill.

8 MS. GREEN: This. M14.

9 MR. DLUGOSZ: Yeah.

10 MS. GREEN: This being the closest
11 landfill to the 400 area, I'm saying. But there
12 still wasn't any flooding here. Most of the damage
13 was really wind damage, like I said, trees -- did
14 have fallen trees, but it was mainly just wind
15 damage.

16 MR. DLUGOSZ: Okay. Is there any
17 documentation?

18 MS. GREEN: Only the report that the
19 Corps of Engineers gave.

20 MR. DLUGOSZ: Was that --

21 MS. GREEN: And from their terrain walk
22 of the landfills.

23 MR. DLUGOSZ: And was that --

24 MS. GREEN: Presented --

25 MR. DLUGOSZ: -- presented and given to

1 the RAB at the last meeting?

2 MS. GREEN: Yes, and I'll send you a
3 copy.

4 MR. MOORE: And, just so everyone's
5 aware, just to augment with what Wanda said, I do a
6 lot of work with the EPA and the EPA gave us a
7 standard form, and you're a super fund site, and you
8 are required to fill out a standard form. And it
9 basically used same form that the EPA asked me to
10 fill out, and I used the Fort Monmouth form when we
11 did our terrain walks. We put all the information
12 from those walks, and very simple, very straight
13 forward and I just wanted to mention you couldn't see
14 very much of anything. Nothing that we could see,
15 like, one overturned tree and that was really about
16 it. Everything else was secured.

17 MR. DLUGOSZ: Okay. Thank you.

18 MR. MOORE: And if there's no other
19 questions, that will conclude my presentation.

20 And one other note for the stenographer,
21 "IRP" is installation restoration program.

22 MR. ALLEN: One other note for the
23 stenographer, I want to thank you for presenting
24 Parsons' presentation. Well done, sir. Thank you.

25 MS. GREEN: No. We're actually on

1 number four.

2 MR. ALLEN: Moving right on to number
3 four.

4 Ed, that's you, I believe.

5 MR. DLUGOSZ: Yes.

6 MR. ALLEN: You have the floor, sir.

7 MR. DLUGOSZ: During our hiatus, I wrote
8 this note to Wanda as a possible issue. As you've
9 known, I belong both to the RAB and I'm on the
10 Environmental Advisory Committee for the FMERA. And,
11 in reviewing the documentation that they had and
12 their plans to go forward with the reuse of the
13 Charles Wood area, they made the -- they made the
14 announcement that they are going to demolish the
15 hexagon, the Myers Center, as part of the their plan
16 rather than trying to find a reuse of the existing
17 building. And that plan requires not only the
18 demolition of the building, but making use of the
19 whole of the property in that area and linking it to
20 some other parcels. They're trying to combine
21 parcels and so forth. And one of the statements that
22 was made was that the lime pit, while there was
23 plenty of soil and other debris, including lime
24 itself, removed back in the early 2000s and maybe
25 even earlier than that, to help remediate the site.

1 They think that they will also remove the foundation
2 that was never removed as part of the remediation of
3 the site. For example, CW2, which was another lime
4 pit just to the east of CW1, the total capsule, all
5 the concrete structure that surrounded the lime, all
6 that structure was removed. They -- FMERA reports
7 that they are -- they're planning to remove the
8 foundation that was never removed during the same
9 time period for the CW1. And my question was, will
10 that planned, what you call removal of the
11 foundation, change the findings for that site the WC1
12 site and will, you know, the demolition of the
13 hexagon have potential for other findings of ground
14 water contamination? Although, we've never seen the
15 field travel underneath the building, you know, the
16 extent of the CW1 goes up to a point outside of the
17 footprint of the hexagon, the Myers Center. Is there
18 a potential -- I'm just asking -- this is a question
19 to you, because it occurred to me during the FMERA
20 meeting, will there be -- will there be potential for
21 additional testing in that area if they do remove,
22 one, the foundation of the lime pit and, two, they're
23 going to remove the foundation of the Myers Center?

24 MS. GREEN: Okay. I'll answer first.

25 Bruce wasn't too happy with me when he saw his name

1 in this comment. And what I did was I just took your
2 e-mail and copied it. Because Bruce said he didn't
3 say this and it's really out of context what is said
4 there. But I think what I can help you to
5 understand, the active RAP sites are carve outs,
6 which means that the Army is still responsible for
7 it. They can demolish or they can plan to, they
8 don't have the money or develop or anything, that's
9 just a plan that they have, that they think they
10 should go ahead and demolish the Myers Center and
11 that has nothing to do with us.

12 MR. DLUGOSZ: I understand that.

13 MS. GREEN: But with regards to CW1,
14 it -- they have said to me that they think that it
15 would be -- and it's just like if any of you gave
16 your opinion to the Army, it's still under the Army's
17 control. They think that if we were to go ahead and
18 remove the slabs, then we can get to the contaminated
19 soil that's possibly under the slabs, which could
20 possibly eliminate all contamination that could be
21 possibly going to -- causing the problem with the
22 ground water contamination, which eventually would
23 mean then they could eventually get an NFA if there's
24 absolutely no contamination there. They are well
25 aware of in the past how we tried to remove the slab.

1 It is ten feet thick concrete, and several pieces of
2 machinery have been destroyed. But that was over 15
3 years ago. There may be new technology that we could
4 consider for this site. It's not up to FMERA. You
5 said FMERA is planning to. It's just like you guys,
6 they can't make plans for the Army to do any type of
7 remediation. They can give their suggestions, just
8 as you can give your suggestions as to what you think
9 the Army should or could do. And that is something
10 that after you will see the RI/FS work plan, then
11 from that, you will then see what type of decisions
12 that we will make after reviewing with the state and
13 having the state agree. FMERA can't make those type
14 of decisions. It would be between the Army and the
15 state because it is still Army owned. So the Army
16 can do what they suggest or what anyone else
17 suggests, because they think that it is the most
18 feasible thing to do. And the state may agree to it.
19 So that's where that actually stands.

20 As far as sampling, we will continue to
21 sample and, if there is a remedial action decided to
22 perform the removal, while you're -- when you do the
23 removal, you still have to sample. You have to
24 sample to see where the extent of the contamination
25 is and then make a decision whether or not you're

1 going to do long term monitoring. Or, if that does
2 resolve the issue, whether or not you will seek a no
3 further action.

4 MR. DLUGOSZ: Okay. I understand that.
5 And I know that any plan is just that until money is
6 put behind it.

7 MR. BARRICELLI: A lot of money.

8 MR. DLUGOSZ: But they claim that
9 they're going to set aside a million dollars. And,
10 again, where they're going to get the money is --

11 MS. GREEN: For demolition?

12 MR. DLUGOSZ: Yeah.

13 MS. GREEN: Yeah, but still, we have as
14 far as the transfer of that property, Charles Wood
15 area, CW1 is a carve out. That means that the Army
16 is still responsible for that RAP site. So we will
17 do whatever is going to be necessary to maintain that
18 site. That's not -- FMERA would not be maintaining
19 that site at all.

20 MR. DLUGOSZ: Understood.

21 MS. GREEN: They can just make
22 suggestions to us.

23 MR. ALLEN: And I have a question for
24 you. You indicated that there is a timetable -- or
25 is there a timetable for the demolition of the Myers

1 center?

2 MR. DLUGOSZ: No.

3 MR. ALLEN: Jim Allen said I don't think
4 it's a definite date for demolition. It's an
5 opinion, an idea. The governing body of the
6 municipality thinks it ought to happen that way, from
7 my meeting with them. But I don't think there's a
8 timetable. Or do I know there's a -- or if there's
9 the necessary finance to knock it down. Thank you.

10 MR. DLUGOSZ: If I may, as I said
11 before, I know that the plans are plans and nothing's
12 real until money gets there. They -- my recollection
13 of the meeting was that they were going to get the
14 state to pony up the million dollars as an investment
15 going forward. But, you know, again, whatever.

16 MR. ALLEN: I'm not smiling at you. I'm
17 smiling at the state.

18 MR. DLUGOSZ: Okay.

19 MS. GREEN: Did that answer your
20 question?

21 MR. DLUGOSZ: Yes.

22 MR. ALLEN: And your question's answered
23 with regard to the presentation? Thank you.

24 MS. GREEN: And this is for -- because
25 there are things happening with EMERA, their job is

1 to move the property, you know, and we're to help
2 them trans -- by transferring property over to them.
3 But, specifically, for Charles Wood, the RAP sites
4 M22, M58 and M25, which is a landfill, they're carve
5 outs and the carve out means that the Army is still
6 owner of those particular sites.

7 MR. DLUGOSZ: That's why I put the 07
8 acre cutout and not the standing. Like, I did
9 understand that the Army is still responsible.

10 MS. GREEN: Yeah. So --

11 MR. DLUGOSZ: Thank you.

12 MR. ALLEN: Can we move on?

13 MS. GREEN: I'm sorry, Linda.

14 MS. RANGE: You answered everything.

15 MR. ALLEN: I think we're now on item
16 number five, the roundtable discussion. Would anyone
17 like to be heard with regard to a specific topic or
18 discussion?

19 MR. DLUGOSZ: I have --

20 MR. ALLEN: Go ahead.

21 MR. DLUGOSZ: Ed Dlugosz. I know that
22 the Army, beside producing the RAPRs and the new
23 thing, you're pulling the ISS -- the new plans.

24 MS. GREEN: Oh, RI/FS remedial
25 investigation feasibility study.

1 MR. DLUGOSZ: Whatever that acronym is.
2 And I know you also produced the FOST and the FOSL.
3 Okay. What FOST or FOSLs are on the horizon that we
4 should be looking for?

5 MS. GREEN: Well, whenever we send a
6 FOST or FOSL to the library, I notify or -- actually,
7 Joe Pierson notifies you that we have sent it. There
8 has been one sent for Charles Wood area, the whole of
9 Charles Wood area. That's what Bill Simmons
10 commented on. So when every one is published, as a
11 courtesy, we do notify you that one is coming up. So
12 you know that Charles Wood is the main one that they
13 are trying to transfer property on.

14 MR. DLUGOSZ: And my question was: What
15 is on the horizon? What do you see being produced
16 next?

17 MS. GREEN: That's what you would find
18 out from FMERA, what they want to have transferred.

19 MR. DLUGOSZ: So they request the area?

20 MS. GREEN: The properties that they
21 want to have transferred. Right now it's just phase
22 one. Phase one includes Charles Wood, parcel B,
23 which is the 1,200 area. And the marina there -- I
24 think that's kind of on hold right now. They'll go
25 into phase two and, when they do, you'll probably

1 know before we will because you'll probably be
2 hearing about it more in the FMERA meetings. Then
3 they will make the request to the Army to present a
4 FOST.

5 MR. DLUGOSZ: That answers my chicken
6 and egg question kind of where, you know, who
7 initiates it. Okay. Thank you.

8 MR. ALLEN: Okay. Any other -- yes,
9 sir.

10 MR. GRUSKOS: Rich Gruskos.

11 MR. ALLEN: Thank you.

12 MR. GRUSKOS: The question I just have
13 is, it was mentioned earlier that the -- beginning in
14 January, there's going to be a series of reports
15 coming out about every three weeks apart and if you
16 can just summarize that? And this kind of leads into
17 the next discussion a little bit.

18 MS. GREEN: Well, you'll be getting the
19 landfill reports. As I said, once the legal office
20 and the state, once we come to an agreement regarding
21 the landfills, because that's the priority that they
22 have. Once you -- they start with the landfills.
23 The landfills will basically have -- will be
24 boilerplate. There will be some differences, because
25 of some of the contaminants, as you saw, that are

1 found at each landfill. But they would be basically
2 boilerplate as far as the way the RI/FS is written.
3 So you will be getting those back to back, because
4 they -- they have three, four, five and eight that is
5 currently being reviewed by the Army. Once we give
6 our comments, they will incorporate our comments and
7 then it comes back to them to finalize, and then
8 we'll finalize and send it to you and the state and
9 everyone.

10 MR. GRUSKOS: I was kind of hoping that
11 the first one might -- you said we can discuss at the
12 next meeting, that was my hope, just as a general.

13 MS. GREEN: I'm hoping, too. I -- it's
14 our legal office will -- really is paying fine detail
15 with this. Because it's different when you transfer
16 a property. The language is different for BRAC to
17 ensure that all BRAC laws are being followed. So
18 we're hoping to have one by the next meeting.

19 MR. GRUSKOS: Okay.

20 MR. ALLEN: Thank you.

21 MS. GREEN: And if we do have one
22 completed by the next meeting, then you will get --
23 you will have a presentation for the next meeting.
24 Because I will Federal Express it to you and then
25 I'll have them here to give a presentation.

1 MR. ALLEN: Any other discussions for
2 the roundtable?

3 Ed, yes, sir.

4 MR. DLUGOSZ: Yeah, one last thing. I
5 started reviewing the landfill feasibility study work
6 plan, and I came across a new presentation and it's
7 called a preliminary conceptual site diagram for FDM
8 1 -- FDM2, and it's similar for other things. Could
9 you have this -- could you explain what this says or
10 what it's trying to indicate so I can read it and
11 understand it.

12 MR. ALLEN: Where does that come from?

13 MR. DLUGOSZ: That comes from one of the
14 three disks that were sent out, and this happens to
15 be from the landfill. And I also found it in the
16 other one with the other -- this document that Wanda
17 is looking at comes from disk that talks about the
18 landfills. There's another disk that talks about
19 other properties, including building 1122, the
20 former -- and a former gas station on site and so
21 forth. And they look like decision trees, but I
22 don't understand the methodology that it's trying --

23 MS. GREEN: Yeah. This is just giving
24 you an example. If you have -- say, for instance, if
25 it's domestic or industrial waste, and if you have an

1 issue with the surface water sediment, what type of
2 sampling and all that you will perform. If there's
3 erosion, run off, for each of the blocks that are
4 there, this is just an example and it will be --
5 if -- what that particular site, if this applies to
6 it, then it will go into further detail for each of
7 those. So when you get the actual remedial
8 investigation report, because this is a work plan
9 that you're looking at. Once you get the report, it
10 will go into detail and it will have numbers in these
11 blocks to explain.

12 MS. RANGE: If I could, it's to help
13 show what media need to be further investigated.

14 MR. ALLEN: Is that acceptable, Ed?

15 MR. DLUGOSZ: Yes. It just seems to me
16 it was some sort of decision tree.

17 MS. RANGE: Yeah, both circla and our
18 regs require that all cases have conceptual site
19 models developed, which ask you to identify all
20 media, all contaminants and follow exposure pathways
21 so that you can identify the pathways that need to be
22 further evaluated. It's to give you an overall
23 picture of what needs to be done and help you
24 progress to the next stage and help you not miss
25 anything.

1 MR. DLUGOSZ: Okay. Thank you.

2 MR. ALLEN: Anything else, sir?

3 MR. DLUGOSZ: No.

4 MR. ALLEN: Is there anyone else who has
5 anything for our roundtable discussion at this time?

6 MS. GREEN: I do.

7 MR. ALLEN: Okay. You're on.

8 MS. GREEN: This is Rosemary Brewer's
9 last meeting, as I understand it.

10 MS. BREWER: Right.

11 MS. GREEN: Rosemary has been with us
12 since the beginning, the very beginning, 2007. A lot
13 of time, a lot of years, a lot of work, a lot of your
14 time, volunteer time given to us, and we just thank
15 you for all that you have done. I know it has been a
16 lot of fun because we have fun here.

17 MS. BREWER: A little frustrating, but
18 okay.

19 MS. GREEN: We wish you well. You're
20 moving to --

21 MS. BREWER: Utah.

22 MS. GREEN: Yes, Utah. A little
23 different than Jersey.

24 MS. BREWER: Yeah, next Thursday. But
25 I -- I did talk to our Board administrator, and she's

1 going to appoint someone for my place. So she will
2 get in contact with you. It took a while, but --

3 MS. GREEN: Oh, good. Well, I want to
4 read this letter from John Acupante (phonetic), who
5 is our site manager. It says Ms. Brewer, on behalf
6 of the office of Assistant Chief of Staff for
7 Installation Management, U. S. Army, Fort Monmouth
8 Community, I would like to extend to you my sincere
9 appreciation for your participation on the Fort
10 Monmouth Restoration Advisory Board. The Department
11 of Defense recognizes the importance of state holder
12 participation in the installation restoration
13 program. The RAB was established for that specific
14 reason. Your hard work and enthusiasm as a liaison
15 between the community and the installation amplified
16 with commitment to fulfill the need for community
17 involvement and the restoration decision-making
18 process. Your contribution of time and effort and
19 reviewing and commenting on numerous plans and
20 activities related to the ongoing environmental
21 studies and restoration activities at Fort Monmouth
22 was invaluable and is greatly appreciated. Thank you
23 again for your commitment and service to Fort
24 Monmouth RAB. Sincerely, John Acupante, site
25 manager, U. S. Army, Fort Monmouth. Thank you.

1 Thank you. Thank you.

2 MR. ALLEN: Would you pass that down?

3 MS. GREEN: It's been six years. Six
4 years went by fast.

5 MR. BARRICELLI: Time flies when you're
6 having fun.

7 MS. BREWER: I wish we were a little
8 further along in the process, but it takes a while.

9 MR. ALLEN: Item number six are the
10 meetings that are, I guess, tentatively scheduled for
11 year 2014 starting with January 9, which is the
12 second Thursday; the third of April; the tenth of
13 July, which is the second Thursday once again; and
14 October 2, which I am presuming is the first
15 Thursday. Any discussion on those? Any comments on
16 those? And I don't have a calendar.

17 MR. CHARNICK: Something was bothering
18 me. This meeting was changed because this meeting
19 couldn't be held on Thursday, tomorrow, and Dianne
20 Crilly sent an e-mail saying she was surprised that a
21 Wednesday was picked and she couldn't make it because
22 somebody decided we would have the meeting today.
23 What is the process to schedule meetings when we sort
24 of prefer Thursdays?

25 MS. GREEN: I will answer that.

1 MR. CHARNICK: On behalf of Dianne.

2 MS. GREEN: You could have had the
3 meeting without me, but because I couldn't be here
4 tomorrow, and I wanted to have a meeting before we
5 had -- because I had to cancel October because we
6 were furlough, and we wanted to reschedule a meeting,
7 so -- and I wanted to do it the first week of
8 December so we could have another one the first week
9 of -- but well, not the first week of January, but
10 the second week of January because of the holiday.
11 So that's why it was on a Wednesday instead of a
12 Thursday.

13 MR. CHARNICK: Thank you.

14 MR. ALLEN: Thank you, Wanda.

15 MS. GREEN: Because otherwise it would
16 have gone into the third week of December for me for
17 a Thursday, and I couldn't -- didn't want to wait
18 that long.

19 MR. ALLEN: Hearing no other discussion,
20 we'll take these are our fixed dates for the year
21 2014 at this point in time. Thank you.

22 MR. DLUGOSZ: I do --

23 MR. ALLEN: All right. You have an
24 objection?

25 MR. DLUGOSZ: I would like, because it's

1 so close the 9th of January, will there be sufficient
2 materials for that meeting? You know, there's only,
3 you know, essentially one month between the two. Is
4 it too soon, or will that be no problem because we've
5 got a backlog of materials to go over. I don't
6 object to it from being there, I'm just wondering if
7 there's enough materials.

8 MS. GREEN: Well, for January I plan to
9 have the M16 presentation and, hopefully, to have the
10 soil -- I mean, the sampling results to you. So but
11 it's up to you if you want to --

12 MR. DLUGOSZ: I have no objection. I
13 was just wondering if there was enough.

14 MR. CHARNICK: I think it's good as
15 presented.

16 MR. ALLEN: Any other comments? I, for
17 one, think it will work.

18 MR. DLUGOSZ: Okay. I have no
19 objection.

20 MR. ALLEN: So it will proceed as
21 posted.

22 And then the next item is with regard to
23 the note at the bottom, the announcements and
24 continuing.

25 Moving on to item number seven is the

1 public comments and questions. Sir, if you want to
2 be heard, I don't have a list of people who might
3 have signed up.

4 MS. GREEN: Did you change it to five?

5 MR. ALLEN: I don't know. We can make
6 it to five. Our minutes to the public to address
7 that was it three or five minutes? I recall it to be
8 five.

9 MS. GREEN: It was three, but I thought
10 Ron had brought it up.

11 MR. CHARNICK: We were trying to extend
12 it a little.

13 MR. ALLEN: I'm just changing it to --

14 MS. GREEN: I think I remember what
15 happened. We said we was going to change it to five,
16 but we didn't have a quorum that meeting, so we
17 didn't vote on it. So if you guys wanted to vote on
18 it now.

19 MR. ALLEN: I would like a quick vote
20 with regard to the time that the public can be heard.
21 That would be a matter of five minutes.

22 MR. DLUGOSZ: I'd like to make that
23 motion.

24 MR. CHARNICK: I'll second that.

25 MR. ALLEN: Do you have that, ma'am?

1 All those in favor of the motion signify
2 by saying "I."

3 IN UNISON: I.

4 MR. ALLEN: Opposed?

5 So ordered. Five minutes will be the
6 time.

7 Sir, if you want to be heard, I don't
8 have a list of names. So would you give us your full
9 name and address, please, and the topic you would
10 like to talk about.

11 MR. SIEGEL: My name is Lenny Siegel.
12 I'm from California. I'm with the Center for Public
13 Environmental Oversight.

14 MR. ALLEN: You're from where, sir?

15 MR. SIEGEL: California. And I'm --

16 MR. ALLEN: Welcome.

17 MR. SIEGEL: -- I'm working on a project
18 actually funded by the Defense Department on
19 community perspectives on the vapor intrusion
20 investigations at present and former military
21 facilities across the country. And this is a site
22 where there is not necessarily a vapor intrusion
23 problem, but there's been some consideration of that.
24 And I'm just -- want to introduce myself. I'll --
25 I'll give out my card, and I would like to talk to

1 anybody here who has any opinions about how the Army
2 has addressed that potential problem here at Fort
3 Monmouth. I know Mr. Dlugosz has raised the issue,
4 but I'd like to hear from others as well. Do you
5 need my full address or --

6 MR. ALLEN: Could you give a card to
7 Wanda Green, please.

8 MR. SIEGEL: Yeah. I've actually been
9 exchanging e-mails with her. I was planning on
10 coming here on October 3 and canceled at the last
11 minute.

12 MR. CHARNICK: What is the purpose of
13 your study?

14 MR. SIEGEL: I work with communities all
15 across the country. In fact, I was one of the people
16 who helped the Defense department organize
17 restoration support. I serve on the Moffett Field,
18 M-o-f-f-e-t-t, Restoration Advisory Board in
19 California and I've done a lot of work with people in
20 technology research organization, the defense
21 department, and they're doing a lot of innovative
22 things, some good things and some bad things across
23 the country. And my role is here to help develop
24 public input for how they're doing it. And so I'm
25 visiting several Restoration Advisory Boards across

1 the country. I just visited Edwards Air Force Base
2 in Southern California. I've talked to the Army
3 Corps in the New England region about the, in
4 Hanover, New Hampshire it's called the Cold Regions
5 Research and Engineering Laboratory, where there's a
6 vapor intrusion investigation. I was planning to
7 attend Hill Air Force Base Restoration Advisory Board
8 and that date was moved because of the government
9 shut down as well.

10 But, anyhow, my role is to provide --
11 and I've done this on other things, provide input
12 from communities to people in the military who are
13 developing the technologies to help guide them in
14 their work. I come from -- I have an activist
15 background. As Mr. Moore knows, I'm viewed by many
16 people in the military as a constructive critic. So
17 I'll be here when you finish and give out my cards.

18 MR. ALLEN: Thank you, sir.

19 Ed?

20 MR. DLUGOSZ: I'd just like to thank
21 Mr. Siegel. I contacted him for the first time in
22 2007, 2008 before we had all the input from the vapor
23 intrusion testing, and he was able to educate me and
24 to help send me to training on vapor intrusion. I
25 think I was in the same class as Linda. We never --

1 IRO -- ITRC.

2 MR. SIEGEL: ITRC.

3 MR. DLUGOSZ: ITRC meeting. So he's
4 been very helpful to me in understanding the issues
5 with vapor intrusion and TC and volatile organics.
6 So he's a great source for anybody who might need it.
7 Not only military but civilian issues.

8 MR. ALLEN: Thank you, Ed.

9 Now, young lady, Sarah Breslow. Just
10 give us your town and your full name, please.

11 MS. BRESLOW: Sarah Breslow. Redacted - Privacy Act .

12 Redacted - Privacy Act

13 MS. GREEN: Probably lower it, right
14 there for you.

15 MS. BRESLOW: A couple of just clean up
16 things.

17 For Mr. Moore, all the talk about the
18 landfills and the trenches, and I'm wondering if
19 they're going to determine if any contamination has
20 spread via the ground water and may have piled up at
21 sites not on Fort Monmouth, even though it has
22 originated at Fort Monmouth..

23 MS. GREEN: That's where the sampling
24 that was performed. You'll be able to see -- from
25 the wells that we sample, you'll be able to see, if

1 there was, how far any contamination is. If there
2 are wells that you see a contamination that's at the
3 border, then you will determine if you need to do
4 further sampling from that.

5 MS. BRESLOW: Are the wells contained?
6 Can anything leak out the bottoms or out of these
7 wells into ground water?

8 MS. GREEN: I --

9 MS. RANGE: The wells just take
10 representative sample of where that ground water is
11 at that location.

12 MS. BRESLOW: The wells aren't existing
13 well water. You're making the wells you mean to take
14 the samples.

15 MR. DLUGOSZ: Yes.

16 MS. RANGE: If I'm understanding your
17 question --

18 MS. GREEN: We install the wells. It's
19 not like the well where you -- the drinking well.

20 MS. BRESLOW: That's what I'm picturing.

21 MS. GREEN: It's about six-inch
22 diameter --

23 MS. RANGE: It's probably four inch.

24 MS. BRESLOW: What's it made of?

25 MR. MOORE: PVC.

1 MS. GREEN: PVC. And they stay there.
2 So it's not like we move them around or anything like
3 that. These are installed and permanently installed.

4 MR. RIDER: They collect water.

5 MS. BRESLOW: So when you find
6 contamination, you go further out and you see --

7 MS. GREEN: That's it.

8 MS. BRESLOW: Housekeeping. Was the
9 TAPP ever resubmitted? I know you voted to do it,
10 but I missed a meeting and I don't know if you
11 actually did it. And there was also a question about
12 who's name was actually on the paper that denied it
13 in the first place.

14 MS. GREEN: That wasn't resubmitted. It
15 was discussed and you --

16 Brian, you didn't resubmit what the RAB
17 agreed upon.

18 MR. CHARNICK: We're trying to --

19 MR. ALLEN: Let Wanda finish.

20 MS. GREEN: That was it.

21 MR. ALLEN: Go ahead, please.

22 MS. GREEN: Use the mic.

23 MR. ALLEN: Can you hand him the mic?

24 Thank you.

25 MR. CHARNICK: That was two questions

1 that Ms. Breslow addressed. One was the original
2 TAPP, which is a technical assistance for public
3 participation grant that DOD and the Army offered to
4 RAB members to help educate about a questionable
5 topic that the community might have. We submitted an
6 original unanimously approved request for the grant
7 and it was formally rejected by the Army. But the
8 question was that the rejection letter didn't seem to
9 have a signature on it by who actually rejected it.
10 So that was one of the questions.

11 As far as resubmitting it, there was
12 some confusion about the rewrite, whether it was
13 resubmitted. And the status right now is it's in
14 review by the Eatontown Environmental Commission
15 folks to try to refine it before it is formally
16 resubmitted again.

17 MR. ALLEN: Thank you, sir.

18 Does that answer your question, ma'am?

19 MS. BRESLOW: I don't think it is in the
20 Eatontown Environmental Commission to review, but --
21 it didn't answer whether you got a name of who
22 rejected it in the first place.

23 MS. GREEN: It was the Axsum (phonetic).

24 MR. CHARNICK: You told us that, but the
25 letter itself did not have any -- I don't even think

1 it had a date. It was just, like, a typed up series
2 of words rejecting it. But it didn't have -- nobody,
3 like, signed it on the bottom, I think. There was
4 some questions about the administrative process of
5 the rejection, I guess.

6 MS. GREEN: I will check, because I
7 thought you had brought this up before and I sent
8 something to you. I will check my old e-mails
9 regarding that.

10 MS. BRESLOW: Because the rejection as
11 I --

12 MS. GREEN: Do you remember something?
13 Because this was brought up a long time when you
14 first got the rejection, you requested that, and I
15 sent something to you, but I'll check back and I'll
16 send it back to you.

17 MS. BRESLOW: I'm not real clear on what
18 changes need to be made at this point. It's been a
19 while and, otherwise, it had been rejected based on
20 false information, so I'm not sure that there's
21 anything wrong with us resubmitting it as is.

22 MS. GREEN: I don't know what you're
23 referring to as "false information." There was
24 reasons given for the rejection and, as Brian said,
25 he has submitted it to the Eatontown Environmental

1 Committee.

2 MR. CHARNICK: Well, Ed is the chairman
3 and Sarah is on the commission. So there must be
4 some confusion, because they're not aware.

5 MS. BRESLOW: But I do remember that,
6 you, yourself, Ms. Green, had added some information
7 that hadn't been included on that TAPP, and that
8 seemed to be the reason.

9 MS. GREEN: I added information to the
10 TAPP?

11 MS. BRESLOW: Absolutely, yes.

12 MS. GREEN: Absolutely incorrect. I
13 don't write the TAPP.

14 MS. BRESLOW: You didn't write the TAPP,
15 but you had added information to the person who was
16 reviewing it. It's in the minutes. If you haven't
17 lost those, you can look it up.

18 MS. GREEN: No, I haven't lost any
19 minutes, and I do not add to the TAPP. The TAPP is
20 something that's submitted by the RAB. I do not make
21 changes to it. So --

22 MS. BRESLOW: Check the minutes.

23 Anyway, the last part is that tonight is
24 a conflict with Eatontown's Town Council meeting and,
25 since Eatontown is one of the towns that's involved

1 in this, I think it would have been at least
2 considerate had you checked the town schedules before
3 you had scheduled for tonight.

4 And I also wanted to know how you find
5 out about this meeting? Because I couldn't find it
6 anywhere online. Where is it? Like, I looked up the
7 very -- on your agenda link that is here, and you get
8 the last notification of a meeting is October 3, and
9 the agenda. The last one that's posted on there is
10 from February. So these are not being kept up.
11 They're being -- really making it hard for the public
12 to be aware of this meeting.

13 MS. GREEN: The minutes and the agenda
14 had not been -- well, the agendas could have been put
15 on there, but the minutes had not been approved until
16 tonight, that's why you don't have the minutes. Tim
17 Rider is my public affairs, but we only meet
18 quarterly --

19 MS. BRESLOW: February.

20 MS. GREEN: -- so that's why. But Tim
21 Rider is our public affairs, and he just told me that
22 he had not changed it for this meeting. But normally
23 it is -- it normally is on the website.

24 MS. BRESLOW: The link from FMERA comes
25 back to your home page and it's October. So there's

1 no --

2 MS. GREEN: That was an error on our
3 part. It should have been on our site, and it
4 normally is.

5 MR. ALLEN: Ma'am, excuse me, you're
6 saying that the link that's on this paper is
7 incorrect?

8 MS. BRESLOW: No. The link gets you to
9 the site, but the site has no information that --

10 MR. ALLEN: There are two sets of
11 minutes that weren't approved until earlier this
12 evening, so that should bring us back to where we
13 were. Thank you, ma'am.

14 Is there anything else? You're welcome.

15 I just have one other item, if I may.
16 Could I respectfully request that we get a new list
17 of our members currently --

18 MS. GREEN: Yes.

19 MR. ALLEN: -- presented to all the
20 members, because this one goes back and the one I
21 have is 2007. And I'd like to have an updated list,
22 if you could possibly get that.

23 Is there anything else to come before us
24 tonight? If not, I would like to entertain a motion
25 that we adjourn.

ATTORNEYS EYES ONLY

Page 60

1 MR. DLUGOSZ: I'd like that motion.

2 MR. BARRICELLI: And second it.

3 MR. ALLEN: And second it by Frank. All
4 those in favor signify by saying "I."

5 IN UNISON: I.

6 MR. ALLEN: Opposed?

7 Thank you for your attendance. Happy
8 holidays.

9 (The meeting concluded at 8:17 p.m.)
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

I, Colleen A. Brown, a Registered Professional Reporter, Notary Public and Certified Court Reporter of the State of New Jersey, license number 30X100214500, do hereby certify that prior to the commencement of the examination of the witness, was duly sworn by me to testify the truth, the whole truth and nothing but the truth.

I DO FURTHER CERTIFY that the foregoing is a true and accurate transcript of the testimony as taken stenographically by and before me at the time, place and on the date hereinbefore set forth.

I DO FURTHER CERTIFY that I am neither a relative nor employee nor attorney nor counsel of any of the parties to this action, and that I am neither a relative nor employee of such attorney or counsel, and that I am not financially interested in the action.

Colleen A. Brown

Notary Public of the State of New Jersey

Commission Expires: May 20, 2015

0	27 17:6	35:3 61:12,15	46:14,19,23 47:16
07 37:7	3	active 33:5	47:20 48:5,13,19,25
1	3 50:10 58:8	activist 51:14	49:4,14,16 50:6
1 41:8	30x100214500 61:6	activities 17:4 23:5	51:18 52:8 54:19,21
1,200 38:23	4	24:18 44:20,21	54:23 55:17 59:5,10
11 5:8 7:22 8:4	4 1:10 2:7 3:12,14	activity 15:19,22	59:19 60:3,6
52:12	4:20	actual 42:7	amplified 44:15
1122 41:19	400 28:14 29:11	acupante 44:4,24	analysis 14:16
13 14:8	455 1:8 2:6	add 57:19	announcement
14 28:19	5	added 57:6,9,15	31:14
15 17:20 34:2	53 12:22 14:6,22	adding 19:10	announcements
17 61:21	59 12:22 14:6,22	additional 19:7	47:23
18 14:2,8	6	23:10 25:2,11 28:3	answer 19:4 32:24
1860 24:1	68 12:23 14:6,22	32:21	36:19 45:25 55:18
1860s 24:7	699 15:15 16:6	address 13:23 14:18	55:21
1870s 24:7	7	48:6 49:9 50:5	answered 36:22
1880 24:1	7:00 1:9 2:8	addressed 50:2 55:1	37:14
1918 22:14	8	addressing 14:2	answers 39:5
1950 22:7	8:17 60:9	adjourn 59:25	anybody 50:1 52:6
1952 20:25	9	administrative 56:4	anyway 57:23
1955 20:24 22:23	9 45:11	administrator 43:25	apart 39:15
1956 20:24 22:23	9th 47:1	advisory 1:1,4 3:2	apparently 8:11
1959 20:19 21:1	a	31:10 44:10 50:18	appear 5:23
1964 20:16,20	abide 8:4	50:25 51:7	applies 42:5
1965 22:10	able 7:4 51:23 52:24	affairs 58:17,21	appoint 44:1
1966 22:8,11	52:25	agenda 9:13 58:7,9	appreciated 44:22
1968 20:16	absolutely 33:24	58:13	appreciation 44:9
2	57:11,12	agendas 58:14	approach 24:21
2 45:14	abstain 5:2 9:1	ago 34:3	approval 3:20
20 61:20	abstained 5:6 8:7,10	agree 34:13,18	approve 3:14 4:20
2000s 31:24	9:4,9	agreed 9:3 54:17	7:23
2007 43:12 51:22	abstaining 8:8,9	agreement 39:20	approved 8:2 55:6
59:21	abstention 8:11	ahead 12:10 33:10	58:15 59:11
2008 51:22	acceptable 42:14	33:17 37:20 54:21	approving 8:4
2010 25:5	accepted 9:11	air 51:1,7	april 3:11,14 4:17
2011 25:5	accurate 61:7	allegiance 3:4,6	4:18,20 9:1 45:12
2013 1:10 2:7 3:12	acre 37:8	allen 1:18 3:1,7,16	area 15:12 22:16
3:14 4:20 7:22	acreage 26:10,14	3:18 4:12,16,22,24	23:2 26:25 28:14,20
61:21	acronym 38:1	5:4 6:12,19 7:15,21	28:25 29:3,11 31:13
2014 45:11 46:21	action 10:22 13:3	7:25 8:3,7,13,22 9:4	31:19 32:21 35:15
2015 61:20	19:17,18 20:9 34:21	9:7,11 30:22 31:2,6	38:8,9,19,23
22 14:6		35:23 36:3,3,16,22	areas 25:11
		37:12,15,20 39:8,11	army 1:1 3:3 9:23
		40:20 41:1,12 42:14	33:6,16 34:6,9,14
		43:2,4,7 45:2,9	34:15,15 35:15 37:5

37:9,22 39:3 40:5 44:7,25 50:1 51:2 55:3,7 army's 11:4 33:16 ash 20:21 24:9 aside 35:9 asked 13:21 30:9 asking 32:18 assessment 10:24,25 11:2,2 assistance 55:2 assistant 44:6 associated 14:14,16 15:15,19 16:4,5 18:12 19:15 23:20 24:9,14 25:19 attach 6:14 7:17 attached 5:19,24 6:9 6:23 7:3,11,14,20 attend 51:7 attendance 60:7 attorney 61:11,13 audible 4:23 augment 30:5 augmenting 19:23 august 11:15,24 17:10 18:8,10 28:1 auto 15:20 automobile 21:1,18 21:23,25 avenue 1:8 2:6 aware 9:17 13:3 16:11 30:5 33:25 57:4 58:12 axsum 55:23	bad 50:22 barely 20:13 barricelli 1:15 3:15 4:14,21 5:11,15 8:1 8:2 35:7 45:5 60:2 base 23:24 51:1,7 based 23:1,5 56:19 baseline 11:18,19,22 17:9 18:8 basically 14:3 18:17 20:17 30:9 39:23 40:1 beaver 21:7 bedding 23:23 24:13 beginning 10:2 12:5 39:13 43:12,12 behalf 4:10 13:22 44:5 46:1 believe 3:12 7:18 9:11 23:6 31:4 belong 31:9 bending 23:19 better 20:12 22:4 big 18:16 bill 4:4 38:9 biphenyls 23:13 bit 11:3 17:13 39:17 blocks 42:3,11 board 1:1,4 3:3,9 43:25 44:10 50:18 51:7 boards 50:25 body 36:5 boiler 21:20 boilerplate 39:24 40:2 boilers 20:22 books 24:3 border 53:3 bores 17:21 boring 17:7 borings 17:6,25 bothering 45:17 bottom 5:11 47:23 56:3	bottoms 53:6 boundaries 25:25 26:1 brac 11:5 14:20 19:2 40:16,17 break 14:24 breslow 52:9,11,11 52:15 53:5,12,20,24 54:5,8 55:1,19 56:10,17 57:5,11,14 57:22 58:19,24 59:8 brewer 1:22 3:17 8:8 9:6 43:10,17,21 43:24 44:5 45:7 brewer's 43:8 brian 1:12 5:8 9:8 54:16 56:24 bring 59:12 broke 14:2 brought 48:10 56:7 56:13 brown 2:3 61:3 bruce 32:25 33:2 building 15:15 16:5 19:8 22:22,25 31:17 31:18 32:15 41:19 buildings 28:21,23 28:24 29:1 bullet 5:12 buried 21:9 burners 24:9 business 9:14 busy 10:5	capsule 32:4 card 49:25 50:6 cards 51:17 carryover 3:13 carve 33:5 35:15 37:4,5 cases 27:5 42:18 causing 33:21 cd 11:11 center 31:15 32:17 32:23 33:10 36:1 49:12 certificate 61:1 certified 2:4 61:4 certify 61:6,10 chairman 57:2 change 32:11 48:4 48:15 changed 45:18 58:22 changes 25:3 56:18 57:21 changing 48:13 characterization 23:11 characterize 22:17 23:8 characterized 21:22 charles 15:11 31:13 35:14 37:3 38:8,9 38:12,22 charnick 1:12 3:21 4:2 5:14,18 6:3,11 6:18,22 7:4,7,24 19:6,19 45:17 46:1 46:13 47:14 48:11 48:24 50:12 54:18 54:25 55:24 57:2 check 19:3 56:6,8,15 57:22 checked 58:2 chicken 39:5 chief 44:6 choice 7:19
b		c	
b 1:11,11 38:22 back 11:3,14 13:13 21:9 25:5,5 31:24 40:3,3,7 56:15,16 58:25 59:12,20 background 51:15 backlog 47:5		calendar 45:16 caliber 19:1 california 49:12,15 50:19 51:2 caliper 9:23 27:15 call 3:2,19 32:10 called 41:7 51:4 cancel 46:5 canceled 50:10	

choose 18:5 cinder 23:22 circla 42:17 circle 14:19 circular 10:11,23,24 11:2 19:16 circulated 9:12 civilian 52:7 claim 35:8 clarification 13:1 class 51:25 clean 52:15 cleaners 15:23 cleaning 15:24 clear 7:15 56:17 close 47:1 closed 26:2,4 closely 12:17 closer 24:23 closest 29:10 coal 20:21 cold 51:4 collect 17:8,17,25 54:4 collected 17:7,21 23:8 colleen 2:3 61:3 combination 17:19 combine 31:20 come 7:2 39:20 41:12 51:14 59:23 comes 40:7 41:13,17 58:24 coming 38:11 39:15 50:10 commencing 2:7 comment 21:11 33:1 commented 38:10 commenting 4:5 44:19 comments 4:8 18:21 18:22 40:6,6 45:15 47:16 48:1 commission 55:14 55:20 57:3 61:20	commitment 44:16 44:23 committee 31:10 57:1 commonly 23:19 24:8 communities 50:14 51:12 community 44:8,15 44:16 49:19 55:5 compaction 24:12 compacts 23:23 compared 18:10 complete 12:10 13:19 15:2 17:17 19:10,11,13 completed 11:14 12:8 40:22 component 14:3 components 25:13 compound 16:3 compounds 14:24 16:6 20:7 conceptual 41:7 42:18 concern 14:24 16:3 20:7 conclude 30:19 concluded 60:9 concrete 32:5 34:1 conflict 57:24 confusion 55:12 57:4 consider 34:4 considerate 58:2 consideration 49:23 construction 20:17 constructive 51:16 consultant 19:2 contact 44:2 contacted 51:21 contained 53:5 contaminants 39:25 42:20	contaminated 33:18 contamination 14:14 19:14 23:9 32:14 33:20,22,24 34:24 52:19 53:1,2 54:6 context 33:3 continue 34:20 continuing 47:24 contract 9:18 contractor 18:25 contribution 44:18 control 19:2,3 33:17 copied 33:2 copies 6:24 7:1 25:22 copy 3:8,10 12:11 15:9 26:9 30:3 corp 10:16 corps 9:18,22 12:16 12:20 13:15 18:24 27:11,12 29:19 51:3 correct 9:6,12 25:16 council 57:24 counsel 61:11,13 country 49:21 50:15 50:23 51:1 county 3:23 4:3,10 couple 13:2 52:15 court 2:4 61:4 courtesy 38:11 creating 10:7 crilly 1:23 45:20 critic 51:16 current 18:18 currently 9:19,20,22 9:25 10:19 13:25 40:5 59:17 cutout 37:8 cw1 32:4,9,16 33:13 35:15 cw2 32:3	d d 1:11 damage 27:3,3 28:22 29:12,13,15 data 14:15,18 18:18 date 36:4 51:8 56:1 61:9 dated 61:21 dates 46:20 debris 20:17,24 27:21 31:23 december 1:10 2:7 46:8,16 61:21 decided 12:9 34:21 45:22 decision 10:13 34:25 41:21 42:16 44:17 decisions 34:11,14 defense 44:11 49:18 50:16,20 defer 25:22 definite 36:4 definitely 12:4 delineation 15:3 17:17 19:9,11 delivered 4:4,9 5:21 demolish 31:14 33:7 33:10 demolition 20:23 22:22 23:1 31:18 32:12 35:11,25 36:4 denied 54:12 department 3:24 4:3 44:10 49:18 50:16,21 deposited 20:16 description 21:16 22:3 destroyed 34:2 detail 40:14 42:6,10 detailed 4:4,9 17:14 determine 18:3,13 25:9 52:19 53:3
---	---	---	---

develop 33:8 50:23 developed 42:19 developing 51:13 diagram 41:7 diameter 53:22 dianne 1:23 45:19 46:1 dictate 6:13 differed 25:14 differences 39:24 different 10:10,25 14:2 40:15,16 43:23 discontinued 26:6 discuss 3:11 12:3 14:10,13,17 20:2,6 40:11 discussed 7:13 54:15 discussion 7:16,21 10:21 11:1 37:16,18 39:17 43:5 45:15 46:19 discussions 41:1 disk 12:6,8 41:17,18 disks 11:13 41:14 dispensing 15:18 disposal 20:20 21:1 21:18,23 22:5,8,11 22:22 distributed 12:6 district 13:16 ditching 25:7 dlugosz 1:21 5:2 6:4 6:21 7:10 8:10,25 8:25 18:2 19:5 21:3 21:6,21 22:2 23:25 24:22,25 26:13,18 26:22 27:23 28:4,15 28:19 29:3,6,9,16 29:20,23,25 30:17 31:5,7 33:12 35:4,8 35:12,20 36:2,10,18 36:21 37:7,11,19,21 37:21 38:1,14,19 39:5 41:4,13 42:15	43:1,3 46:22,25 47:12,18 48:22 50:3 51:20 52:3 53:15 60:1 doc 6:6 document 6:7 14:12 20:2 41:16 documentation 11:20 29:17 31:11 documentations 25:8 documented 23:21 27:1 documents 7:2 14:19 18:21,22 19:1 24:2 dod 55:3 doing 10:5,11 11:6 12:18 14:18 15:18 17:15,24 19:22 26:7 50:21,24 dollars 35:9 36:14 domestic 20:18,20 22:5,8,11,18 41:25 draft 9:20 15:1 drinking 53:19 drive 52:12 dry 15:23,24 due 11:19	educate 51:23 55:4 edward 1:21 edwards 51:1 effect 6:10 efficient 13:20 effort 44:18 egg 39:6 eight 4:9 40:4 either 4:7 10:15 24:17 electronic 25:21 eliminate 33:20 employee 61:11,13 encounter 28:17 engineering 51:5 engineers 9:18,23 10:16 12:17,20 13:15 18:25 27:11 27:13 29:19 england 51:3 ensure 40:17 entertain 7:23 59:24 enthusiasm 44:14 entitled 2:2 environmental 9:19 31:10 44:20 49:13 55:14,20 56:25 epa 30:6,6,9 erosion 42:3 error 59:2 errors 25:16 essentially 47:3 established 44:13 evaluated 42:22 evening 12:25 14:4 59:12 eventually 33:22,23 everybody 7:16 everyone's 15:8 30:4 exactly 6:15 examination 27:8,9 example 21:4 32:3 41:24 42:4	exception 23:7 exchanging 50:9 excuse 59:5 existed 24:1 existing 17:18 18:1 18:4 31:16 53:12 expecting 9:25 expires 61:20 explain 41:9 42:11 exposure 42:20 express 11:11 40:24 extend 44:8 48:11 extended 11:19 extent 14:14 19:14 23:9 25:3,7,9 32:16 34:24 extremely 27:6 eyes 20:13
	e e 1:11,11 33:2 45:20 50:9,18 56:8 eager 21:6 earlier 8:11 31:25 39:13 59:11 early 18:15 31:24 east 32:4 eatontown 52:11,12 55:14,20 56:25 57:25 eatontown's 57:24 ed 8:25 31:4 37:21 41:3 42:14 51:19 52:8 57:2		f f 4:5 50:18,18 facilities 22:20 27:17 49:21 fact 11:19 50:15 fallen 29:14 false 56:20,23 familiar 8:24 far 11:18 15:14 25:9 28:21 34:20 35:14 40:2 53:1 55:11 fast 45:4 faulty 17:12 favor 4:25 8:3 49:1 60:4 fdm 41:7 fdm2 41:8 feasibility 10:12 20:1 37:25 41:5 feasible 34:18 february 58:10,19 federal 11:11 40:24 feet 34:1 field 32:15 50:17 figure 24:16

figures 20:3 fill 30:8,10 finalize 40:7,8 finalized 10:2,3 11:7 11:8,9 finance 36:9 financially 61:14 find 20:12 31:16 38:17 54:5 58:4,5 findings 27:19 32:11 32:13 fine 40:14 finish 51:17 54:19 finished 17:9 first 3:11 8:23 10:3 12:20 14:21 15:5 21:22 28:17,24 32:24 40:11 45:14 46:7,8,9 51:21 54:13 55:22 56:14 five 4:13 17:21 37:16 40:4 48:4,6,7 48:8,15,21 49:5 fixed 46:20 flag 3:5 flies 45:5 flooded 28:8,11,21 flooding 28:14,23 28:25 29:1,12 floor 31:6 fly 24:9 fmera 31:10 32:6,19 34:4,5,13 35:18 36:25 38:18 39:2 58:24 focus 16:9 23:17 folks 23:2 55:15 follow 11:1-19:16 42:20 followed 40:17 footprint 32:17 force 51:1,7 forefinger 29:6 foregoing 61:6	forgot 3:25 form 30:7,8,9,10 formal 11:22 27:7 formally 55:7,15 format 10:9 former 15:16,20,23 41:20,20 49:20 formulate 14:19 fort 1:1,3,8 2:6 3:3 13:17,19 14:11 24:18 30:10 44:7,9 44:21,23,25 50:2 52:21,22 forth 11:3 25:15 31:21 41:21 61:9 forward 23:9 30:13 31:12 36:15 fosl 38:2,6 fosls 38:3 fost 4:5 38:2,3,6 39:4 found 16:7,19 25:16 26:16 40:1 41:15 foundation 32:1,8 32:11,22,23 four 4:14 12:7 18:1 19:7 31:1,3 40:4 53:23 fourth 5:12 frames 24:1 frank 1:15 4:22 5:8 5:9 8:2 60:3 frustrating 43:17 fs 9:20 10:19 11:9 13:5 14:5 26:7 34:10 37:24 40:2 fuel 15:16 fulfill 44:16 full 49:8 50:5 52:10 fun 43:16,16 45:6 fund 24:6 30:7 funded 49:18 furlough 46:6 furnaces 20:22	further 14:17 27:2 35:3 42:6,13,22 45:8 53:4 54:6 61:10 g gaps 14:15,18 gas 15:16 41:20 gasoline 15:17 general 20:17,20,23 21:14 22:5,8,11,17 22:22 40:12 generally 21:19 getting 10:4 39:18 40:3 giant 16:15 gibbsboro 24:8 give 6:25 9:16 10:16 12:14,18 13:1,22 21:3 26:11 34:7,8 40:5,25 42:22 49:8 49:25 50:6 51:17 52:10 given 6:17 10:17 19:12 24:10 25:18 27:16 29:25 43:14 56:24 giving 41:23 go 12:9 15:2 16:15 24:15 31:12 33:10 33:17 37:20 38:24 42:6,10 47:5 54:6 54:21 goes 32:16 59:20 going 6:23 8:16 10:5 10:8,8 11:3 12:16 14:1,4,10 15:1,4,7 16:10,12 17:5,10,15 17:19,24 18:2,14,17 23:9 26:20 31:14 32:23 33:21 35:1,9 35:10,17 36:13,15 39:14 44:1 48:15 52:19	good 12:25 19:25 23:24 44:3 47:14 50:22 governing 36:5 government 51:8 grant 55:3,6 great 18:7 24:12 26:13 52:6 greatly 44:22 green 1:17 3:25 4:15 5:24 6:15,24 7:6,9 8:16 9:16 13:5,11 21:12,24 22:24 24:23 25:24 26:16 27:10,15,25 28:13 28:16,20 29:5,8,10 29:18,21,24 30:2,25 32:24 33:13 35:11 35:13,21 36:19,24 37:10,13,24 38:5,17 38:20 39:18 40:13 40:21 41:23 43:6,8 43:11,19,22 44:3 45:3,25 46:2,15 47:8 48:4,9,14 50:7 52:13,23 53:8,18,21 54:1,7,14,20,22 55:23 56:6,12,22 57:6,9,12,18 58:13 58:20 59:2,18 grimm 1:20 ground 14:25 16:9 16:19,22,25 17:22 17:24 28:2 32:13 33:22 52:20 53:7,10 gruskos 1:14 8:9 9:9 9:9 26:20 28:6 39:10,10,12 40:10 40:19 guess 5:22 22:3 45:10 56:5 guide 51:13 guys 6:25 34:5 48:17
--	--	--	---

h hampshire 51:4 hand 54:23 hanover 51:4 happen 36:6 happened 25:24 48:15 happening 36:25 happens 41:14 happy 32:25 60:7 hard 44:14 58:11 headquarters 14:20 health 3:23 4:3 hear 50:4 heard 37:17 48:2,20 49:7 hearing 4:19 39:2 46:19 held 2:5 45:19 help 8:18,20 13:16 26:20 31:25 33:4 37:1 42:12,23,24 50:23 51:13,24 55:4 helped 50:16 helpful 52:4 hereinbefore 61:9 hexagon 31:15 32:13,17 hiatus 31:7 highlight 17:3 hill 51:7 historic 24:6 historical 11:21,25 14:11,23 15:14 18:18 20:6,15 23:18 24:2,19 historically 18:11 23:20 hold 38:24 holder 44:11 holiday 46:10 holidays 60:8 holistically 18:16	home 58:25 hope 12:4 40:12 hopefully 10:4 47:9 hoping 12:1 40:10 40:13,18 horizon 38:3,15 house 12:9,10 housekeeping 54:8 i idea 36:5 identify 14:15 42:19 42:21 impacted 20:8 28:12 importance 44:11 inch 53:21,23 include 15:1 included 7:19 25:3 25:11 26:8 57:7 includes 38:22 including 31:23 41:19 incomplete 26:4 incorporate 40:6 incorporated 4:7 25:23 incorrect 57:12 59:7 increase 26:2 indicate 19:19 41:10 indicated 7:17 35:24 indication 28:22 individual 16:13 18:12 industrial 20:18,21 22:5,9,12,18 41:25 information 10:7 14:13 16:16 18:11 18:13,23 23:5,8 25:19 26:5,8,14 30:11 56:20,23 57:6 57:9,15 59:9 initial 18:15 initiates 39:7 innovative 50:21	input 50:24 51:11 51:22 inputting 8:19 inside 28:23 inspect 27:17 install 53:18 installation 24:19 30:21 44:7,12,15 installed 23:19 54:3 54:3 instance 41:24 interested 16:13 61:14 interpreter 23:14 interviews 23:1 introduce 49:24 intrusion 49:19,22 51:6,23,24 52:5 invaluable 44:22 investigate 15:2 investigated 42:13 investigation 10:12 15:19 37:25 42:8 51:6 investigations 14:5 16:10 24:16 49:20 investment 36:14 involved 57:25 involvement 44:17 irfs 9:20 iro 52:1 irp 30:21 irps 25:15 islands 15:18 iss 37:23 issue 23:16 31:8 35:2 42:1 50:3 issues 52:4,7 item 37:15 45:9 47:22,25 59:15 itrc 52:1,2,3 j james 1:18	january 12:3,5,12 39:14 45:11 46:9,10 47:1,8 jeeps 21:9 jersey 1:9 2:5,7 24:6 43:23 61:5,19 jim 1:24 12:16,19 13:15 36:3 job 1:25 36:25 joe 38:7 joel 1:20 john 44:4,24 join 3:4 july 4:15 5:8 7:22 8:4,11,12 9:1,10 45:13 k kept 58:10 key 23:16 kind 38:24 39:6,16 40:10 knock 36:9 know 6:8 8:20 10:24 21:5,18 23:14 24:1 24:4 25:12,13,18 26:2 27:4,5 32:12 32:15 35:5 36:8,11 36:15 37:1,21 38:2 38:12 39:1,6 43:15 47:2,3 48:5 50:3 54:9,10 56:22 58:4 known 31:9 knows 15:7 51:15 korea 21:9 l laboratory 51:5 lack 27:3 ladies 8:18 lady 52:9 lake 52:12 landfill 12:7 20:1,15 28:17,24 29:7,11 37:4 39:19 40:1 41:5,15
--	---	--	--

landfills 9:21 10:3 10:14,20 11:10,12 12:22 14:7 20:3,5,6 20:11 21:13,14,16 23:7 25:3,8,20 26:1 27:2,12,21 28:8,11 29:22 39:21,22,23 41:18 52:18 language 40:16 lastly 15:25 16:24 17:23 22:21 23:14 23:15 24:14 latest 26:5 law 11:5 laws 40:17 lead 16:7 leads 39:16 leak 53:6 left 14:9 legal 9:24,25 10:21 11:4,5 39:19 40:14 lenny 1:24 49:11 letter 44:4 55:8,25 level 17:9 27:4 liaison 44:14 library 25:10 38:6 license 61:5 light 13:12 lime 15:25 31:22,23 32:3,5,22 limited 28:7,10 linda 1:19 37:13 51:25 line 23:25 link 6:6 58:7,24 59:6 59:8 linking 31:19 liquid 16:1 list 13:7,7 48:2 49:8 59:16,21 little 10:10 17:13 39:17 43:17,22 45:7 48:12 loaded 23:21	location 14:22 15:12 15:13 16:2,15 20:2 20:4,11 23:10 53:11 locations 15:5 17:16 18:20 long 35:1 46:18 56:13 look 4:11 11:4,25 18:9,15 21:13,15,25 21:25 27:8 41:21 57:17 looked 58:6 looking 16:5 20:13 23:12,15 24:17 25:9 38:4 41:17 42:9 lost 57:17,18 lot 20:21 23:19,22 24:5 28:22 30:6 35:7 43:12,13,13,13 43:16 50:19,21 loved 24:11 lower 52:13 m m 1:11,11 50:18 m12 10:20 22:7 m14 10:20 22:10 29:8 m16 12:8 47:9 m18 10:20 m2 14:6 20:15 23:7 23:11,17 m22 11:12 12:22 14:22 15:12,25 16:24 17:23 37:4 m25 10:20 22:21 37:4 m3 9:21,21 20:19 m4 9:21 20:23 m5 9:21 20:25 21:22 m53 11:12 15:6,15 16:4 17:5 m58 37:4 m59 11:13 15:6,20 16:17 17:15	m66 9:24 m68 11:13 15:6,23 16:21 17:19 m8 9:21 22:4 m81 22:13 ma'am 5:5 48:25 55:18 59:5,13 machinery 34:2 mail 33:2 45:20 mails 50:9 56:8 main 15:6 38:12 maintain 35:17 maintaining 35:18 maintenance 24:20 majority 28:11 making 31:18 44:17 53:13 58:11 management 44:7 manager 13:16 44:5 44:25 manner 13:20 map 15:4,8,11 maps 20:4,12 marina 38:23 material 20:16 21:2 22:17,22 23:20,22 23:23 24:17 materials 21:4 22:12 24:10 25:10 47:2,5,7 matter 2:2 48:21 mean 33:23 47:10 53:13 means 18:19 19:16 33:6 35:15 37:5 media 14:25 20:8 42:13,20 meet 58:17 meeting 1:4 3:2 4:17 4:19 5:3,21 6:2 7:2 8:11,12 9:1,1,2,14 12:2,3,12 26:24 27:10,18 30:1 32:20 36:7,13 40:12,18,22 40:23 43:9 45:18,18	45:22 46:3,4,6 47:2 48:16 52:3 54:10 57:24 58:5,8,12,22 60:9 meetings 26:11 39:2 45:10,23 members 55:4 59:17 59:20 memorialize 7:10 19:17 mention 5:9 8:23 30:13 mentioned 4:12 14:6 17:9 39:13 metals 16:18,25 23:15,21 methodology 41:22 mic 4:1 24:23 54:22 54:23 middle 29:4 military 22:16 49:20 51:12,16 52:7 million 35:9 36:14 minute 4:19 50:11 minutes 3:8,14,22 3:23 4:7,20 5:7,25 5:25 6:7,13,14,16 6:25 7:1,8,22,23 8:4 48:6,7,21 49:5 57:16,19,22 58:13 58:15,16 59:11 misguided 8:12 missed 8:12 26:24 54:10 mistake 17:12 misunderstanding 11:16 models 42:19 modified 9:12 moftett 50:17 money 33:8 35:5,7 35:10 36:12 monitoring 18:1 19:8 35:1
---	---	--	--

monmouth 1:1,3,8 2:6 3:3,23 4:3,10 13:17,19 14:12 24:18 30:10 44:7,10 44:21,24,25 50:3 52:21,22 month 47:3 moore 1:24 12:16,20 12:25 13:6,14,15 18:7 19:9,22 21:5,8 22:3 23:4 24:5 25:18 27:14 30:4,18 51:15 52:17 53:25 motion 3:14,15 4:20 6:19 7:23 48:23 49:1 59:24 60:1 move 37:1,12 54:2 moved 7:24 51:8 moving 31:2 43:20 47:25 multiple 17:6 18:5 municipality 36:6 myers 31:15 32:17 32:23 33:10 35:25	new 1:9 2:5,6 10:7,9 13:15 18:1,3 19:7 19:10,21 26:8,9,15 34:3 37:22,23 41:6 51:3,4 59:16 61:5 61:19 newhouse 12:12 nfa 33:23 nice 20:3 nine 11:10,12 14:7 17:6 20:3,5 nj1775120 1:25 normally 58:22,23 59:4 notary 2:5 61:4,19 note 30:20,22 31:8 47:23 notes 2:1 nothing's 36:11 notice 4:8 notification 58:8 notifies 38:7 notify 38:6,11 number 28:7,10 31:1,2 37:16 45:9 47:25 61:5 numbers 42:10 numerous 44:19	44:6 oh 37:24 44:3 okay 6:3 8:14 22:2 28:4 29:16 30:17 32:24 35:4 36:18 38:3 39:7,8 40:19 43:1,7,18 47:18 old 24:4 56:8 once 10:2 39:19,20 39:22 40:5 42:9 45:13 ones 22:4 ongoing 44:20 online 58:6 operate 22:14 operated 20:19,25 22:10,20 operation 24:19 opinion 33:16 36:5 opinions 50:1 opportunity 18:20 opposed 49:4 60:6 optimal 18:19 order 3:2 ordered 49:5 organic 16:6 organics 16:17,18 16:21,25 23:12 52:5 organization 50:20 organize 50:16 original 25:15 55:1 55:6 originated 52:22 ought 36:6 outs 33:5 37:5 outside 32:16 overall 21:12 42:22 oversight 49:13 overturned 30:15 owned 34:15 owner 37:6	page 4:9,12,14 5:10 5:12 58:25 pain 23:14 paper 25:21 54:12 59:6 parcel 38:22 parcels 31:20,21 parsons 9:19 10:15 10:19 12:18,19 13:17,21 14:12 25:19 30:24 part 5:15,20 6:19 18:8 24:20 31:15 32:2 57:23 59:3 participation 44:9 44:12 55:3 particular 6:2 15:22 37:6 42:5 parties 61:12 parts 14:3 pass 45:2 pathways 42:20,21 paying 40:14 pcb 23:12 people 24:11 48:2 50:15,19 51:12,16 perform 10:22,23 24:15 34:22 42:2 performed 23:2 28:1 52:24 period 32:9 permanent 25:25 permanently 54:3 person 57:15 perspectives 49:19 phase 38:21,22,25 phonetic 44:4 55:23 pick 18:19 picked 45:21 picture 18:17 42:23 picturing 53:20 pieces 34:1 pierson 38:7 piled 52:20
n	o	p	
name 8:13,23 9:8 13:14 32:25 49:9,11 52:10 54:12 55:21 names 8:20 49:8 nature 14:13 19:14 23:8 necessarily 49:22 necessary 35:17 36:9 need 3:18 4:1 8:19 11:22,23 13:11 19:7 23:16 42:13,21 44:16 50:5 52:6 53:3 56:18 needs 3:9 13:19 42:23 neither 61:10,12 never 25:8 32:2,8,14 51:25	o 1:11 4:5 50:18 object 47:6 objection 46:24 47:12,19 objective 19:11 obviously 17:14 occurred 28:14 29:1 32:19 oceanport 1:9 2:6 29:2 october 45:14 46:5 50:10 58:8,25 offered 6:19 55:3 office 9:24,25 10:21 11:4 39:19 40:14	p.m. 1:9 2:8 60:9	

piping 15:17 pit 15:25 31:22 32:4 32:22 place 44:1 54:13 55:22 61:9 plan 10:15 11:12 12:2,22 14:7,9 15:1 20:2 31:15,17 33:7 33:9 34:10 35:5 41:6 42:8 47:8 planned 32:10 planning 10:22 17:5 18:15 32:7 34:5 50:9 51:6 plans 10:18 11:9 14:1,3,10,16,21 31:12 34:6 36:11,11 37:23 44:19 plant 4:6 plants 24:6 plate 21:20 please 4:1 8:4 19:24 49:9 50:7 52:10 54:21 pledge 3:4,6 plenty 31:23 point 5:12 7:17 15:8 28:6 32:16 46:21 56:18 polychlorinated 23:13 pony 36:14 possible 17:11 18:16 31:8 possibly 4:17 33:19 33:20,21 59:22 posted 47:21 58:9 potential 14:24 16:3 32:13,18,20 50:2 prefer 45:24 preliminary 41:7 prepare 13:21 19:1 prepared 14:11 16:11 19:12,23	preparing 10:19 present 1:24 9:10 16:7 39:3 49:20 presentation 10:16 12:15,19 13:12,21 15:9 30:19,24 36:23 40:23,25 41:6 47:9 presentations 6:2,25 presented 7:13 12:11 14:4 29:24,25 47:15 59:19 presenting 12:21 30:23 presuming 45:14 pretty 10:5,14 23:6 previous 19:20 21:13 primarily 21:1 22:16 primary 20:7 prior 24:1 25:1 priority 39:21 probably 22:4,4 25:12 38:25 39:1 52:13 53:23 problem 33:21 47:4 49:23 50:2 problems 26:3 procedure 22:19 proceed 47:20 proceedings 1:5 2:2 process 19:17 22:19 44:18 45:8,23 56:4 produced 4:4 38:2 38:15 producing 37:22 professional 2:4 61:3 program 9:17 30:21 44:13 progress 13:3 42:24 project 13:16 49:17 properties 38:20 41:19	property 31:19 35:14 37:1,2 38:13 40:16 propose 19:17 proposed 15:1 17:4 20:8 23:4 proposing 23:10 protruding 27:21 provide 3:9 13:18 51:10,11 public 2:5 7:4,7 24:11 48:1,6,20 49:12 50:24 55:2 58:11,17,21 61:4,19 published 38:10 pull 24:23 pulling 37:23 purpose 6:12 50:12 purposes 13:1 put 14:12,13 22:6 23:18 30:11 35:6 37:7 58:14 putting 5:4 pvc 53:25 54:1	r r 1:11,11 rab 1:1 16:11 18:24 26:11 27:18 30:1 31:9 44:13,24 54:16 55:4 57:20 radar's 21:8 railroad 23:18 24:15,19 railroads 23:20 raised 50:3 range 1:19 37:14 42:12,17 53:9,16,23 rap 9:17 33:5 35:16 37:3 rapr 12:8 13:3 raprs 10:10 26:6,6 37:22 read 7:5,7 41:10 44:4 reading 28:10 real 25:7 28:21 36:12 56:17 really 10:6,9 17:2 21:10,24 22:1,15 23:16 27:8 29:13 30:15 33:3 40:14 58:11 reason 3:13 17:11 44:14 57:8 reasons 56:24 recall 11:15 48:7 receive 11:10,13,17 received 11:11 12:8 recognizes 44:11 recollection 36:12 recommendations 14:17 record 5:16,16,21 5:23 6:20 19:18 recorder 8:18 recording 3:25 records 7:14
		q quality 18:9 19:2 quarterly 58:18 question 3:21 4:2 5:16,20 18:7 19:4 24:22 32:9,18 35:23 36:20 38:14 39:6,12 53:17 54:11 55:8,18 question's 36:22 questionable 55:4 questioning 5:13 questions 4:18 13:23 15:10 30:19 48:1 54:25 55:10 56:4 quick 13:20 48:19 quickly 13:24 quite 11:3 quorum 3:12 48:16	

reference 6:5	11:22 12:11,15 13:4	55:14,20	23:4 28:1,2 34:20
references 5:22	16:10,12,15 17:11	reviewed 9:22,24	42:2 47:10 52:23
referring 56:23	19:12 27:7,16,16	18:23,24 40:5	53:4
refine 55:15	29:18 42:8,9	reviewing 31:11	sandy 25:1 26:25
regard 4:18 7:22	reporter 2:4,4 61:4	34:12 41:5 44:19	27:18,22
36:23 37:17 47:22	61:4	57:16	sarah 52:9,11 57:3
48:20	reports 9:20 10:1,4	reviews 10:6	saw 5:9 8:13 26:1
regarding 4:3 39:20	10:8 21:13 25:16	rewrite 55:12	32:25 39:25
56:9	26:3,4,8,10,15 32:6	ri 9:20 10:19 11:9	saying 6:16,16 7:11
regards 10:21,23	39:14,19	13:5 14:5 26:7	7:13 8:5,19 29:11
33:13	representative	34:10 37:24 40:2	45:20 49:2 59:6
region 51:3	53:10	rich 9:9 39:10	60:4
regions 51:4	request 38:19 39:3	richard 1:14	says 5:15 12:19
registered 2:3 61:3	55:6 59:16	rider 1:16 7:18 54:4	21:16,18 41:9 44:5
regs 42:18	requested 56:14	58:17,21	schedule 45:23
rejected 55:7,9,22	require 19:21 42:18	right 4:19 5:7,17 6:8	scheduled 45:10
56:19	required 14:19 15:3	7:3,9,12,19 20:14	58:3
rejecting 56:2	30:8	23:5 29:4 31:2	schedules 58:2
rejection 55:8 56:5	requirements 10:24	38:21,24 43:10	scoot 12:23
56:10,14,24	11:5	46:23 52:13 55:13	second 3:16,17 4:22
related 3:22 19:6	requires 31:17	risk 10:24,25 11:2,2	7:25 8:1 45:12,13
24:18,18 44:20	reschedule 46:6	rob 12:12	46:10 48:24 60:2,3
relative 61:11,13	research 50:20 51:5	role 50:23 51:10	section 4:13 9:14
remaining 10:20	resolve 35:2	ron 48:10	secured 30:16
14:9	respectfully 59:16	room 20:4,12	sediment 42:1
remedial 10:12,22	response 4:23	rose 27:5	see 5:19 10:17 11:22
13:3 34:21 37:24	responsible 33:6	rosemary 1:22 9:4,7	11:23 12:24 20:13
42:7	35:16 37:9	43:8,11	25:7 26:14 30:13,14
remediate 31:25	restoration 1:1,4 3:2	rotations 17:25	34:10,11,24 38:15
remediation 32:2	30:21 44:10,12,17	round 11:14	52:24,25 53:2 54:6
34:7	44:21 50:17,18,25	rounding 17:23	seeing 10:11
remember 26:18	51:7	roundtable 37:16	seek 35:2
28:10 48:14 56:12	resubmit 54:16	41:2 43:5	seen 11:20 21:22
57:5	resubmitted 54:9,14	run 42:3	32:14
removal 32:10	55:13,16	s	sees 27:8
34:22,23	resubmitting 55:11	s 1:11 4:5 44:7,25	semi 16:18
remove 32:1,7,21,23	56:21	sample 34:21,23,24	send 5:25 7:1 30:2
33:18,25	result 27:22	52:25 53:10	38:5 40:8 51:24
removed 31:24 32:2	resulting 27:2,7	samples 17:6,7,8,17	56:16
32:6,8	results 11:21,23,24	17:21,22,25 18:3	sense 11:7
repair 15:21	11:25 17:10 27:1	27:23,25 28:3 53:14	sent 38:7,8 41:14
report 4:4,6,10 5:19	47:10	sampling 11:15,21	45:20 56:7,15
5:20,21,23 6:6,9,17	reuse 31:12,16	11:24 17:4,10,16,20	sentence 7:12
6:19 7:5,11,14	review 3:19 18:18	17:24 18:8 20:9	separate 3:8
10:17 11:8,17,18,19	18:21 19:13 28:9		

separated 21:15 september 11:16,24 18:9 28:2 series 39:14 56:1 serve 50:17 service 44:23 services 13:18 set 3:22 5:7 14:21 35:9 61:9 sets 3:8 59:10 seven 47:25 sewer 4:5 she'll 7:17 sherwin 24:7 ship 21:9 shop 15:21 show 14:22 20:4,11 24:4 42:13 showing 15:11 shows 15:5 shut 51:9 side 12:23 28:15,16 29:2,2 siegel 1:24 49:11,11 49:15,17 50:8,14 51:21 52:2 signature 55:9 signed 48:3 56:3 significant 27:19 signify 49:1 60:4 similar 41:8 simmons 1:13 4:4 38:9 simple 30:12 simpler 13:22 simplest 22:6 sincere 44:8 sincerely 44:24 sir 21:10 26:23 30:24 31:6 39:9 41:3 43:2 48:1 49:7 49:14 51:18 55:17 site 12:1 14:9,14 15:6 16:12,13,14 18:5,12 19:15 22:24	23:3 30:7 31:25 32:3,11,12 34:4 35:16,18,19 41:7,20 42:5,18 44:5,24 49:21 59:3,9,9 sites 10:7,13 12:7,21 12:22 14:2,8,23 16:4 24:6 25:14 27:4 33:5 37:3,6 52:21 six 45:3,3,9 53:21 sizing 25:14 skip 20:14 slab 33:25 slabs 33:18,19 slag 23:22 slide 15:4 19:24 20:10,10 smiling 36:16,17 soil 14:25 16:8 17:6 17:16,20,21,24 27:24,25 28:3 31:23 33:19 47:10 soils 16:22,25 24:13 solvents 15:24 somebody 45:22 soon 17:11 47:4 sorry 7:18 37:13 sort 42:16 45:23 source 52:6 south 24:6 southern 51:2 speak 4:1 5:5 8:22 8:23 spec 24:9 specific 16:12 18:13 37:17 44:13 specifically 23:12 37:3 spread 52:20 staff 18:25 44:6 stage 42:24 stages 18:15 standalone 16:12	standard 22:18 30:7 30:8 standing 37:8 stands 34:19 start 8:19 10:1,4 39:22 started 12:9 41:5 starting 45:11 state 2:5 10:25 11:1 14:1 18:20 19:13 34:12,13,15,18 36:14,17 39:20 40:8 44:11 61:5,19 statements 31:21 states 3:3 station 15:16 41:20 status 55:13 stay 4:16 54:1 stenographer 8:17 13:2 30:20,23 stenographic 2:1 stenographically 61:8 stopped 22:14 storage 15:16 straight 30:12 street 28:15 structure 32:5,6 studies 10:12 13:20 19:20 25:12 44:21 study 20:1 25:23 37:25 41:5 50:13 submit 14:9 submitted 13:25 55:5 56:25 57:20 substances 15:21 subsurface 16:8,19 16:22,22,25 17:16 17:20,24 sufficient 23:7 47:1 suggest 6:4,5 34:16 suggestions 34:7,8 35:22 suggests 34:17	summarize 14:10 39:16 summary 12:21 17:3 super 24:5 30:7 support 13:16 50:17 sure 3:22 13:8,18,19 21:10 22:13,15,25 56:20 surface 14:25 16:8 16:19 17:16,20 42:1 surprised 45:20 surrounded 32:5
t			
t 4:5 50:18,18 table 11:14 take 24:8 46:20 53:9 53:13 taken 2:3 27:24,25 28:3 61:8 takes 45:8 talk 43:25 49:10,25 52:17 talked 51:2 talks 5:12 6:8 41:17 41:18 tanks 15:16 tapp 54:9 55:2 57:7 57:10,13,14,19,19 targeted 18:14 tc 52:5 technical 18:25 55:2 technologies 51:13 technology 34:3 50:20 tell 21:10 ten 4:9 34:1 tentatively 45:10 tenth 45:12 term 35:1 terms 13:2 terrain 27:12 29:21 30:11			

test 18:6	48:20 49:6 51:21	two 3:7 13:12,25	visiting 50:25
testimony 61:7	56:13 61:8	14:4 17:8,16,18,22	voices 8:6
testing 25:2,3,17	timeline 23:17	17:25 18:3,4 32:22	volatile 16:6,17,18
27:2 32:21 51:23	times 25:22	38:25 47:3 54:25	16:21,24 23:12 52:5
tests 19:20	timetable 35:24,25	59:10	volunteer 43:14
thank 3:18 4:24 5:4	36:8	type 11:17 34:6,11	vote 3:19 9:2 48:17
5:6 9:13 13:10	timothy 1:16	34:13 42:1	48:17,19
19:24 24:25 28:4,4	today 10:18 45:22	typed 56:1	voted 54:9
30:17,23,24 36:9,23	told 55:24 58:21	types 24:20	w
37:11 39:7,11 40:20	tomorrow 45:19	u	wade 1:8 2:6
43:1,14 44:22,25	46:4	u 44:7,25	wait 16:14 46:17
45:1,1 46:13,14,21	tonight 57:23 58:3	u.s. 1:1	walk 27:12 29:21
51:18,20 52:8 54:24	58:16 59:24	unanimously 55:6	walks 30:11,12
55:17 59:13 60:7	topic 37:17 49:9	underground 15:17	wanda 1:17 7:16
thick 34:1	55:5	underneath 32:15	9:15 13:10,14,17
thing 16:21 26:22	total 32:4	understand 6:15	14:5 17:8 25:22
34:18 37:23 41:4	town 52:10 57:24	28:7 33:5,12 35:4	26:23 28:8 30:5
things 18:16 19:3	58:2	37:9 41:11,22 43:9	31:8 41:16 46:14
24:20 36:25 41:8	towns 24:2 57:25	understanding	50:7 54:19
50:22,22,22 51:11	training 22:16 51:24	19:13 52:4 53:16	want 5:8,9 6:15 9:16
52:16	trans 37:2	understood 21:21	12:23 13:1 24:15
think 5:8,17 6:9	transcript 1:4 2:1	35:20	30:23 38:18,21 44:3
7:10 11:21,22 15:7	61:7	unison 5:1 49:3 60:5	46:17 47:11 48:1
22:6 25:5 28:7 32:1	transfer 35:14 38:13	united 3:3	49:7,24
33:4,9,14,17 34:8	40:15	update 9:17	wanted 11:17 13:8
34:17 36:3,7 37:15	transferred 38:18	updated 59:21	17:13 21:23 30:13
38:24 47:14,17	38:21	upgraded 20:15	46:4,6,7 48:17 58:4
48:14 51:25 55:19	transferring 37:2	uploaded 6:1	waste 16:1 20:18,21
55:25 56:3 58:1	travel 32:15	use 18:11 21:20 27:8	22:6,9,18 41:25
thinks 36:6	treatment 4:5	31:18 54:22	water 14:25,25 16:9
third 45:12 46:16	tree 30:15 42:16	uses 14:23 15:14	16:20,23 17:1,22
thought 17:12 48:9	trees 27:20 29:13,14	20:6,15	18:9 27:4 28:2
56:7	41:21	utah 43:21,22	32:14 33:22 42:1
three 4:12 9:14 10:4	trenches 52:18	v	52:20 53:7,10,13
14:3 15:5 39:15	trenching 25:23,25	vapor 49:19,22 51:6	54:4
40:4 41:14 48:7,9	26:17,19	51:22,24 52:5	way 22:6 36:6 40:2
thursday 43:24	tried 18:15 33:25	variety 15:21	wcl 32:11
45:12,13,15,19	true 61:7	versa 6:7	we've 25:8,18 32:14
46:12,17	try 55:15	version 25:21	47:4
thursdays 45:24	trying 25:4 31:16,20	versus 16:14	weakness 19:20
tim 58:16,20	38:13 41:10,22	vice 6:7	wealth 25:19
time 3:1,7,19 12:16	48:11 54:18	viewed 51:15	website 6:1 58:23
21:22 22:19 24:1	tumbled 27:20	visited 51:1	wednesday 1:10 2:7
32:9 43:5,13,14,14	turn 9:14 13:11		45:21 46:11
44:18 45:5 46:21			

week 46:7,8,9,10,16	y
weeks 10:5 39:15	yeah 6:11 9:2 26:17
welcome 49:16	27:10 28:13,16 29:9
59:14	35:12,13 37:10 41:4
wells 17:8,18,22	41:23 42:17 43:24
18:1,1,3,4,4,5,6,14	50:8
19:8,10,21 52:25	year 10:2 45:11
53:2,5,7,9,12,13,18	46:20
went 16:1 26:7	years 34:3 43:13
27:11 45:4	45:3,4
wife 23:13	york 13:15
william 1:13	young 52:9
williams 24:8	
wind 28:22 29:13,14	z
wish 21:10 43:19	zoom 18:17
45:7	
wonderful 24:12	
wondering 4:6 5:23	
6:22 25:15 27:6	
28:9 47:6,13 52:18	
wood 15:12 20:21	
31:13 35:14 37:3	
38:8,9,12,22	
word 13:3 26:19	
27:9	
words 7:12,19 56:2	
work 10:18 11:9,11	
12:18,22 13:17,25	
14:2,7,8,10,11,16,21	
19:23 20:1 23:2,11	
25:2,6 30:6 34:10	
41:5 42:8 43:13	
44:14 47:17 50:14	
50:19 51:14	
worked 12:17 23:2	
24:5	
working 9:19 11:18	
49:17	
write 57:13,14	
written 24:3 40:2	
wrong 56:21	
wrote 12:13 31:7	